

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

STATE OF RHODE ISLAND AND PROVIDENCE PLANTATIONS  
PUBLIC UTILITIES COMMISSION

**STAKEHOLDERS MEETING IN RE:**

REVIEW OF ELECTRIC RATE ISSUES  
IN ANTICIPATION OF 2015  
RATE DESIGN REVIEW

DOCKET NO. 4545

-----/

MAY 14, 2015  
9:30 A.M.

89 JEFFERSON BOULEVARD  
WARWICK, RHODE ISLAND

**IN ATTENDANCE:**

MARGARET E. CURRAN, CHAIRPERSON  
HERBERT J. DeSIMONE, COMMISSIONER  
CYNTHIA WILSON-FRIAS, LEGAL COUNSEL  
AMY D'ALESSANDRO, LEGAL COUNSEL  
TODD BIANCO, POLICY ASSOCIATE  
ALAN NAULT, RATE ANALYST

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**FROM NATIONAL GRID:**

CELIA O'BRIEN, ESQ.  
PETER ZSCHOKKE                      JEREMY NEWBERGER  
TIMOTHY ROUGHAN                    JEANNE LLOYD  
TERRY BURNS                         SCOTT McCABE

**FROM THE DIVISION:**

LEO WOLD, ESQ.  
KAREN LYONS, ESQ.  
AL CONTENTE  
STEPHEN SCIALABBA

**FROM ARCADIA CENTER:**

MARK LeBEL, ESQ.  
ABIGAIL ANTHONY  
LESLIE MALONE

**FROM NEW ENGLAND CLEAN ENERGY COUNCIL:**

CHARITY PENNOCK  
JANET BESSER  
SUE ANDERBOIS

**FROM OFFICE OF ENERGY RESOURCES:**

DANIEL MUSER  
MARION GOLD

**FROM CONSERVATION LAW FOUNDATION:**

JERRY ELMER, ESQ.  
MATT GREENE

**FROM RENEWABLE ENERGY DESIGN:**

SETH HANDY, ESQ.

1 (COMMENCED AT 9:41 A.M.)

2 THE CHAIRPERSON: I believe that we

3 can get started in Docket 4545, review of

4 electric rate issues in anticipation of 2015

5 rate design review. Is there anything we

6 need to take up in advance?

7 MS. WILSON-FRIAS: I don't think

8 so, Commissioner, other than maybe having

9 everybody introduce themselves. Arcadia

10 Center and New England Clean Energy Council

11 and National Grid have each provided

12 presentations which will be posted on the

13 website after the meeting.

14 THE CHAIRPERSON: Shall we start

15 identifying ourselves for the record?

16 MR. CONTENTE: Al Contente,

17 Division of Public Utilities.

18 MS. LYONS: Karen Lyons for the

19 Attorney General for the Division.

20 MR. SCIALABBA: Stephen Scialabba

21 for the Division.

22 MS. GOLD: Marion Gold from the

23 Office of Energy Resources.

24 MR. MUSER: Dan Muser, Office of

1 Energy Resources.

2 MR. HANDY: Seth Handy, Handy Law.

3 MR. McCABE: Scott McCabe with

4 National Grid.

5 MR. BURNS: Terry Burns, National

6 Grid.

7 MS. LLOYD: Jeanne Lloyd, National

8 Grid.

9 MR. ZSCHOKKE: Peter Zschokke,

10 National Grid.

11 MR. ROUGHAN: Tim Roughan, the same

12 company.

13 MS. O'BRIEN: Celia O'Brien,

14 National Grid.

15 MR. NEWBERGER: Jeremy Newberger,

16 National Grid.

17 MR. GREENE: I'm Matt Greene from

18 the Conservation Law Foundation.

19 MR. ELMER: Jerry Elmer,

20 Conservation Law Foundation.

21 MS. ANDERBOIS: Sue AnderBois from

22 New England Clean Energy Council.

23 MS. BESSER: Janet Besser, New

24 England Clean Energy Council.

1 MS. PENNOCK: Charity Pennock, New  
2 England Clean Energy Council.

3 MS. MALONE: Leslie Malone, Arcadia  
4 Center.

5 MR. LeBEL: Mark LeBel, Arcadia  
6 Center.

7 MS. ANTHONY: Abigail Anthony,  
8 Arcadia Center.

9 MS. WILSON-FRIAS: I'm Cynthia  
10 Wilson-Frias, Commission counsel, and while  
11 I'm thinking of it, the stenographer has  
12 asked that everybody try to use the  
13 microphone when they're speaking and try to  
14 remember to speak one at a time so she can  
15 get everything down.

16 MR. NAULT: Alan Nault for the  
17 Commission.

18 MR. BIANCO: Todd Bianco, still  
19 policy associate for the Commission.

20 THE CHAIRPERSON: I'm Meg Curran.

21 COMMISSIONER DeSIMONE: Herb  
22 DeSimone.

23 THE CHAIRPERSON: And we have an  
24 agenda?

1 MS. WILSON-FRIAS: We do. Today  
2 we're starting with a presentation by  
3 Arcadia Center and followed by another  
4 presentation by New England Clean Energy  
5 Council. During the last meeting we had  
6 been hearing a lot from National Grid during  
7 this process and we thought it would be good  
8 to provide an opportunity for other  
9 stakeholders to sort of set forth their  
10 goals and objectives for the revenue neutral  
11 rate design proceeding, and Arcadia Center  
12 and New England Clean Energy Council  
13 expressed an interest in doing so. So  
14 that's where we're starting.

15 At approximately an hour after  
16 that, this is -- it's an agreed-upon time,  
17 National Grid will be providing a  
18 presentation on the impact of different cost  
19 recovery methods using a hypothetical  
20 example. So for example, taking one amount  
21 that needs to be recovered through rates and  
22 looking at how the rate impact -- the effect  
23 on customers would be using two different  
24 methodologies of rate recovery. And then we

1 built in a break for lunch, and then after  
2 lunch National Grid will be providing an  
3 update on the Tiverton system reliability  
4 project. So I think we can start with  
5 Abigail.

6 MS. ANTHONY: Good morning, and  
7 thank you for having us. I just caution  
8 before I get started that our printer got  
9 confused this morning and so some of the  
10 presentations are a little -- the pages are  
11 a little bit off, so I will just make sure  
12 to go slowly through those and make sure  
13 everybody is looking at the right thing.

14 So this morning we're just going to  
15 take a little bit of time. I'm going to go  
16 through Arcadia Center's Utility Vision  
17 which is a resource that we released late  
18 this winter meant to provide specific  
19 recommendations to stakeholders, regulators  
20 and policymakers who are interested in  
21 advancing the clean energy and consumer  
22 friendly energy system for the future.

23 So I'm going to move through that  
24 fairly quickly, then Mark is going to focus

1 specifically on our recommendations that  
2 have to do with rate design, both how  
3 customers pay for power that they use and  
4 how they get compensated for power and other  
5 services that they provide back to the grid.  
6 And Leslie is going to tell you a little bit  
7 about some of the analysis that she's been  
8 doing specific to the issues facing us here  
9 and some of the next steps that we want to  
10 follow-up with after this.

11 So I think it helps just to provide  
12 a little context. We just want to explain  
13 why this is so important to us and how we  
14 got to the recommendations that we'll be  
15 sharing with you. So I'll do this very  
16 briefly, but I do want to back up to about  
17 2012 when Arcadia Center analyzed the  
18 region's progress towards achieving the  
19 state's greenhouse gas emissions reductions.  
20 The result of that analysis became known as  
21 Climate Vision 20/20. It's a web resource  
22 that provides a lot of analysis showing what  
23 the states have been doing and how far we  
24 have to go to achieve our long-term climate

1 goals.

2 What we found surprised us. We  
3 found that New England's power generation  
4 sector was actually quite a bit cleaner than  
5 we had expected in that the states had  
6 actually successfully achieved their early  
7 2010 emissions reductions targets. Most of  
8 this was due to the transformation of our  
9 power generation sector. As you're all  
10 familiar, we had a large amount of fuel  
11 switching from coal and oil to natural gas.  
12 That made up almost half of a 44 percent  
13 reduction in total greenhouse gas emissions  
14 from power generation. The other half was  
15 due to the state's, Rhode Island's  
16 investments in cost effective energy  
17 efficiency and continuing to integrate great  
18 renewables into the grid.

19 So the key takeaways for me, for us  
20 from Climate Vision were 1, power generation  
21 in New England was down -- the emissions  
22 were down by 44 percent. We have a  
23 relatively clean power generation sector.  
24 But also, transportation accounts for more

1 than half -- or almost half, 47 percent of  
2 the region's total greenhouse gas emissions  
3 and it remained a fairly stubborn and  
4 different place to reduce emissions from.

5 And finally, even though our energy  
6 efficiency programs are doing a really good  
7 job of weatherizing our natural gas heated  
8 homes, they're not reaching our oil heated  
9 homes as thoroughly, so we were still seeing  
10 large amounts of greenhouse gas emissions  
11 from our buildings and our transportation  
12 sector.

13 At the same time we were coming to  
14 these conclusions, we were also seeing rapid  
15 transformation in our consumer markets with  
16 new electric-based technologies coming into  
17 the marketplace that were readily available  
18 to consumers. So things like electric  
19 vehicles -- I was just saying last night I  
20 parked next to a Leaf and behind a Chevy  
21 Volt, hybrid electric heating technologies  
22 which presented a feasible alternative for  
23 the oil heated customers in this region. So  
24 when you combine these new electric

1 technologies with a low carbon power  
2 generation sector, you start to see a  
3 pathway toward deep greenhouse gas emissions  
4 reductions from our transportation and our  
5 buildings sector based on a power grid and  
6 the power sources that we have today. And  
7 if we can continue to add more renewable  
8 energy to that power grid, those emissions  
9 reductions from transportation and buildings  
10 start getting lower and lower.

11 Oh, I should be telling you the  
12 slides to look at. So on the pathway to  
13 deep greenhouse gas reductions, this shows  
14 the analysis that we did. If we converted  
15 all of our conventional passenger vehicles  
16 to electric vehicles and all off our fossil  
17 fuel homes to high efficiency electric today  
18 with the power sources we have now, we could  
19 reduce emissions in those sectors by 50  
20 percent overnight knowing that -- oh, and  
21 then if we continue to add those renewables,  
22 we can start to see a pathway towards  
23 reaching our long-term climate goals in 2030  
24 and 2050.

1           Now, we know that we're not going  
2           to do this overnight, but we need to start  
3           laying the groundwork to achieve these  
4           goals. But the power system that we have  
5           today, as we talked about a lot, is designed  
6           for one way power flow, and the policies and  
7           the incentives that guide decisions that are  
8           made about the grid are also designed within  
9           that model, one-way power flow from our  
10          large power generators across poles and  
11          wires to our homes and businesses. This  
12          isn't a system that's designed for the high  
13          levels of bulk renewable power or high  
14          levels of distributed generation or this  
15          consumer adoption of new technologies and  
16          the engagement that we anticipate consumers  
17          will have with a new grid.

18                 So we got involved in the  
19          Massachusetts grid modernization docket and  
20          New York. There are a lot of states who are  
21          signaling this direction to move to a more  
22          decentralized distributed energy future.  
23          But a lot of the proposals and the ideas  
24          were still centered on our existing

1 regulatory framework, existing role for the  
2 utility and asking a lot of questions that  
3 were what we felt were sort of utility  
4 focussed. And that was natural, but we  
5 wanted to present an alternative vision.

6 In Utility Vision, our vision of  
7 the future, the consumer really becomes the  
8 central part of the grid. They're going to  
9 play a more active role. They want more  
10 control over their energy consumption and  
11 production, more control over their energy  
12 bills, more options. And so we started to  
13 think about how we could create -- if we  
14 were to suggest new changes to the  
15 regulatory system and to the utility  
16 business model, how would we make each of  
17 those decisions in a way that benefitted  
18 consumers the most?

19 And so came up with this  
20 illustration of our vision of the grid. Who  
21 wouldn't want to live there? But that's  
22 what the theme of Utility Vision is is  
23 putting consumers in the middle of the grid  
24 and designing our regulatory framework to be

1 consumer friendly and environmentally  
2 friendly.

3 So Utility Vision is really based  
4 on reforms in three key areas. We see a  
5 need for coordinated utility planning for  
6 the future, and Rhode Island is already a  
7 step ahead on this we think with our system  
8 reliability procurement that we're going to  
9 hear about this afternoon.

10 Consumer protection and fair  
11 pricing for all. We don't think that a new  
12 utility future should degrade any of the  
13 existing consumer protections that we have  
14 with our current regulated utility model,  
15 but it should also provide rate design and  
16 compensation models that fairly allocate --  
17 fairly compensate customers with the  
18 benefits they provide and that customers are  
19 paying for the services that they're  
20 getting. And we see updated and strong  
21 roles for regulators, utilities and  
22 stakeholders.

23 So I'm not going to go through all  
24 these recommendations; they're in Utility

1 Vision, but what we did was sort of  
2 categorize what we thought sort of this  
3 world of grid modernization was in five  
4 categories that made sense to us. I think  
5 it's helpful for putting boundaries on what  
6 we see is the issue. First, empowering the  
7 modern energy consumer. We think in the new  
8 utility future consumers should have more  
9 control, new opportunities, reduced barriers  
10 to embracing and adopting new technologies  
11 and innovations, but it should also be a  
12 safe place for consumers to interact either  
13 with the utility or with new markets that  
14 might be developing.

15 Strategic planning for a  
16 consumer-focused power grid. This is the  
17 idea that our traditional grid planning that  
18 is engineering and structural focussed needs  
19 to merge with what we call non-wires  
20 alternatives like we're doing in system  
21 reliability right now.

22 Aligning utility incentives with  
23 consumer and environmental goals.  
24 Regulation needs to change so that when a

1 utility is comparing two different  
2 investment decisions, one in a substation or  
3 a feeder like in Tiverton and Little Compton  
4 compared with deep energy efficiency and  
5 demand response and rooftop solar, that  
6 there's a level playing field for those  
7 different options to be evaluated on. And  
8 that we do see a critical role for  
9 stakeholders in energy system planning in a  
10 similar way that the Energy Efficiency and  
11 Resource Management Council has brought a  
12 strong stakeholder oversight into our energy  
13 efficiency program planning and  
14 implementation of least cost procurement.

15 And so this is where I'm going to  
16 hand over the microphone to Mark and he's  
17 going to focus on our recommendations for  
18 the issues that are really relevant to us in  
19 this rate proceeding or in this proceeding,  
20 how consumers pay -- yep -- how consumers  
21 pay for the power that they use and how they  
22 get paid or compensated or credited for  
23 power that they produce.

24 MR. LeBEL: Thank you. Thanks for

1           letting us present today. So this is where  
2           the slides get a little confused. I'll  
3           start on the how consumers pay for the power  
4           that they use slide and then go to the how  
5           consumers get paid slide, and there's some  
6           overlap between the two the way we've done  
7           this Power Point. But we really wanted to  
8           think about where we want to be on  
9           electricity retail rates in 10, 15 years.  
10          So starting with some principles, and this  
11          is not necessarily an exclusive list on this  
12          slide, but electric rates need to be  
13          designed to allow and even empower consumers  
14          to make smart energy, economic and  
15          environmental decisions to save money and  
16          energy. So a few principles. We want to  
17          preserve incentives for energy efficiency  
18          and distributed generation, protect  
19          low-income customers, but still have fair  
20          payments for staying connected to the grid  
21          and fair compensation for services provided  
22          to the grid.

23                         Now, on the how consumers get paid  
24          for the power they produce slide,

1 distributed generation customers should be  
2 charged for staying connected to the grid  
3 but also credited for the full range of  
4 benefits they provide.

5 So the long -- what's the long-term  
6 vision? We need fully reformed retail rates  
7 for consumption, and that should be linked  
8 to the cost of the system, both  
9 environmental and economic. And so good  
10 options for reforming the current retail  
11 rate structures include time varying rates  
12 for energy, supply, including capacity, and  
13 then for delivery, that includes  
14 distribution and transmission. TVR is one  
15 option, but well-designed demand charges  
16 based on systems peaks are also another  
17 option. So then the second piece -- the  
18 first piece, that's just consumption  
19 essentially.

20 The second piece is what do we want  
21 for distributed energy resources and how do  
22 we fit them best into the system. And in  
23 the long run we do want bi-directional rates  
24 of some sort. There can still be a fixed

1 charge, a customer charge for metering and  
2 billing and then you can have a charge for  
3 power consumed on a time varying basis, a  
4 credit for power exported on a time varying  
5 basis and then we could have new types of  
6 delivery charges. We're using the grid to  
7 consume and export power to the grid that  
8 reflects costs and benefits of each on both  
9 sides. So that's our long-term vision, and  
10 then when we think about the short term,  
11 we're sort of working backwards from there.

12 So that brings us to the next  
13 slide. Short-term recommendation No. 1. We  
14 really want to avoid reliance on fixed  
15 charges and minimum bills. We need to limit  
16 fixed charges to metering, billing and  
17 service drop costs. That's what's called  
18 the basic customer method I believe in the  
19 utility regulatory lingo. And we think you  
20 can actually go below that based on public  
21 policy objectives.

22 The other thing that's important is  
23 you want to have a transparent process and  
24 calculation method for figuring out what are

1           those fixed costs of metering, billing and  
2           service drops so everyone can understand  
3           what's going on and other costs aren't sort  
4           of shoved in there inappropriately.

5                       Second, on minimum bills, some  
6           states -- a lot of states do this  
7           differently. Rhode Island I believe  
8           currently has a minimum bill at the level of  
9           the fixed charge for DG customers because  
10          you can't net meter away the fixed charge,  
11          at least not at the retail rate, but other  
12          states do this differently. Massachusetts  
13          has a minimum bill of zero where you can net  
14          meter away the fixed charge and actually  
15          have a utility bill of zero for a given  
16          month.

17                      So the next slide is the impact of  
18          higher fixed charges in Rhode Island, and  
19          these are some calculations that Leslie did,  
20          and if there are questions, she can answer  
21          them but she suggested that I just do it  
22          quickly for the sake of going through this  
23          smoothly. And this just shows that the blue  
24          line is the current rate structure. The

1 orange line is a \$10 fixed charge, and the  
2 green line is a \$20 fixed charge. And you  
3 can see how increasing the fixed charge  
4 really increases the bills of low usage  
5 customers as you would expect. And then if  
6 you go to a \$10 fixed charge, you'd be  
7 increasing the bill of 54 percent of  
8 National Grid customers.

9 And then that brings to us  
10 short-term recommendation No. 2 which is  
11 also very relevant to this coming docket.  
12 So we think that the way to approach the  
13 problem of distributed generation and their  
14 contributions to the grid is to better  
15 reflect the rate values. So we think that  
16 the output from distributed generation  
17 should be credited for its grid-wide costs  
18 and benefits and that includes avoided  
19 energy, capacity, transmission and  
20 distribution, environmental compliance  
21 costs, but then credit values should also  
22 reflect the costs of using the grid to  
23 consume and export power. Over and beyond  
24 that you can also have additional incentives

1 to reflect environmental and societal  
2 benefits and offer further support for  
3 certain industry segments, community solar,  
4 low-income, that kind of thing, and those  
5 types of further incentives should also be  
6 considered.

7 Along those lines we started  
8 doing -- on the next slide is the grid value  
9 of solar PV in Massachusetts. So we've  
10 started doing state-by-state analyses of  
11 what is the value of solar located in  
12 particular places. So we started in  
13 Connecticut and this shows our numbers from  
14 Massachusetts. And we looked -- and this  
15 type of study has started to happen all  
16 across the country in Minnesota, Maine did a  
17 recent one, Vermont and California have done  
18 very similar studies in different contexts,  
19 but looking at each component of the actual  
20 costs to the system that an additional unit  
21 of solar avoids. So we have energy,  
22 capacity, DRIPe for energy and capacity,  
23 avoided distribution and transmission costs,  
24 and then you have both environmental

1 compliance costs and environmental  
2 externalities.

3 So on the next slide titled  
4 Additional Considerations which are still  
5 very focal to this docket, the legislative  
6 framework for this particular proceeding and  
7 the one that's going to start in a month or  
8 two is limited to distribution rates, but we  
9 really think that rate reform needs to be  
10 evaluated in a broader context. If you're  
11 changing distribution rates, if you want to  
12 be fair to solar, you need to adjust the  
13 other pieces of it as well. Any long-run  
14 ratepayer values provided that isn't  
15 included in the retail energy credit. You  
16 can also start making the system smarter at  
17 the same time by having new credits for  
18 west-facing solar that help reduce peak  
19 demand because they're better aligned with  
20 the times that have high demand on the grid.  
21 And then you can have other distribution  
22 level credits to reflect geographic areas of  
23 need such as the system reliability zones  
24 here in Rhode Island.

1                   And then that brings us to our  
2                   conclusion. We really feel that rate design  
3                   should maintain marginal incentives for  
4                   using energy wisely and even generating  
5                   energy wisely. Consumers should have the  
6                   ability to control their energy bills by  
7                   making smart decisions. In the short run,  
8                   we want to adjust compensation to  
9                   distributed generation to better reflect  
10                  benefits and costs. And in the long run we  
11                  need to figure out more systematic reforms  
12                  for retail rates.

13                 MR. BIANCO: Are we going to do  
14                 questions now or did you -- Leslie, were you  
15                 going to go next?

16                 MS. MALONE: No. No.

17                 MR. BIANCO: Just a couple of quick  
18                 questions. Abigail, the GHG emission  
19                 reductions, was everything you showed for  
20                 New England or was there a breakdown?

21                 MS. ANTHONY: In this slide with  
22                 the green and the two houses?

23                 MR. BIANCO: Yes.

24                 MS. ANTHONY: This is for the

1 Northeast as a whole.

2 MR. BIANCO: And should we  
3 interpret that none of the GHG reductions  
4 were due to the financial economic crisis?  
5 This is the reductions before that?

6 MS. ANTHONY: The existing or the  
7 potential are you asking about?

8 MR. BIANCO: The existing.

9 MS. ANTHONY: The existing. We did  
10 account for any greenhouse gas emissions  
11 reductions that were attributed to the  
12 recession, to the economic condition  
13 situation, but that the conclusion of that  
14 analysis is that they -- the emissions and  
15 economic growth have actually become  
16 decoupled in a way that they were moving in  
17 different directions. So the region as a  
18 whole was seeing economic growth at the same  
19 time it was seeing falling greenhouse gas  
20 emissions reductions. So that situation may  
21 be slightly different in Rhode Island  
22 specifically due to both increased power  
23 generation under RGGI and our own economic  
24 situation.

1 MR. BIANCO: You can say it.

2 MS. ANTHONY: But for the region as  
3 a whole they were going in separate  
4 directions.

5 MR. BIANCO: Mark, in your  
6 conclusions when you say rate design should  
7 maintain marginal incentives for using  
8 energy wisely, so you've discussed having  
9 time varying rates which I think makes a lot  
10 of sense for somebody who's intending to  
11 sell energy. I wonder. Do you mean this  
12 also for just the regular standard offer  
13 customer should they be -- currently we have  
14 six-month and actually 12-month rates this  
15 year for residential energy. Should we --  
16 should the Commission take that as a  
17 recommendation to move to time-of-use rates  
18 and energy that we're getting from the  
19 wholesale market, for example?

20 MR. LeBEL: Yes. I mean, things  
21 like basic service, you should definitely  
22 consider moving to time varying rates for  
23 that piece of it, too. One of the key  
24 drivers of system costs and energy and

1 capacity markets that those numbers are  
2 based on is the time of usage. So if you  
3 want to start to control those costs by  
4 having customers react, it's appropriate to  
5 consider sort of a new way of doing things.

6 That said, we do think it's  
7 important to phase that in, to figure out  
8 what the bill impacts would be for certain  
9 people. Shadow billing. There's other  
10 things you can do. And then you can start  
11 with bigger customers who you feel you would  
12 get a better bang for your buck, and you  
13 also need to consider metering costs. So  
14 there's a lot of different angles to that  
15 question and how fast you can get there.

16 MR. BIANCO: You don't imagine a  
17 split between folks who wish to be in this  
18 new energy vision and folks who want to stay  
19 in the black and white world as basic  
20 customers as a separate class? They just  
21 want to be load, have a relatively stable  
22 rate. Do you imagine that this needs to  
23 apply for all residential and commercial  
24 customers so that we don't have these huge

1 over and undercollections possibly?

2 MR. LeBEL: I think there's a  
3 question of whether we're talking about five  
4 years from now or 20 years from now.

5 MR. BIANCO: Let's talk about both.

6 MR. LeBEL: So five years from now  
7 or ten years from now I can imagine still  
8 having opt out or opt in, and then in the  
9 long run when we have kids and grand kids --  
10 no? Shouldn't go there, Todd?

11 MR. BIANCO: Not after last night.

12 MR. LeBEL: And the other angle to  
13 this is when we have different end use  
14 technology that could interact with the  
15 electric system, it will make it a lot  
16 easier to make these things automatic where  
17 you don't have to go around switching off  
18 light bulbs when the time-of-use price  
19 changes or whatever you would do. In 30  
20 years your house will make all these  
21 decisions automatically. So I think there's  
22 major technology changes and a little bit of  
23 cultural change that will have to go along  
24 with this.

1                   MR. BIANCO: I just have one more.  
2                   Do you see any limitations with the -- with  
3                   distributed rates we have a utility, but  
4                   with energy there's a competitive market and  
5                   they're allowed to offer whatever products  
6                   they want. In Texas, for example, they're  
7                   all in the competitive market and some of  
8                   the products are if you peak shave during  
9                   the day, we give you free energy at night,  
10                  run your air conditioner all night. Do you  
11                  see in Rhode Island that limitation in that  
12                  we have both provider of last resort service  
13                  which actually accounts for most folks and  
14                  at some point maybe we'll have more folks,  
15                  we'll be more like Connecticut with half and  
16                  half. With the energy side of the bill does  
17                  that present a limitation of what can really  
18                  be done. Because the products that the  
19                  market offers are intended to be not touched  
20                  by anything that the PUC or Division really  
21                  does at this point.

22                  MR. LeBEL: It's a lot easier to  
23                  have a top down approach if you're still in  
24                  a fully regulated market. Once you do

1 restructuring, there are a lot of new angles  
2 there in how you allow third-party suppliers  
3 to come into the picture, who controls the  
4 billing. And then if you have a third-party  
5 supplier, what does the metering enable?  
6 What can they actually offer that makes  
7 sense? What information do they get that  
8 informs what they offer? So there's a lot  
9 of different wrinkles that make it more  
10 complicated when you're in a restructured  
11 market, but we still think that overall  
12 principles apply and we sort of want to  
13 start heading things in a direction that  
14 makes sense for the whole system. So it  
15 does introduce some new wrinkles.

16 MR. BIANCO: Do you think it makes  
17 sense, then, to allow either -- either side,  
18 say the regulated side or the competitive  
19 side might innovate products and if you were  
20 to limit that ability to innovate, for  
21 example, if there were mandates for the  
22 regulated side to be more like the products  
23 that are offered on the competitive side to  
24 make it more simple for customers to

1 compare? I mean, do you see that as a  
2 limitation?

3 MR. LeBEL: Well, yeah. So there's  
4 important questions about what customers  
5 will understand and be willing to accept  
6 that are very central to all of this. In  
7 Connecticut there are major concerns about  
8 retail suppliers ripping people off when you  
9 get to higher levels of retail suppliers.  
10 So there's -- you know, how much time do we  
11 have right now? We could -- it certainly  
12 gets into some very tricky areas of consumer  
13 protection and what people understand and  
14 how can they actually make good decisions.

15 MR. BIANCO: Thank you.

16 MS. WILSON-FRIAS: Could I just  
17 ask? I have a follow-up to one of Todd's  
18 questions and the response. You were  
19 talking about the fact that in, say, 20  
20 years, time-of-use rates could be broad and  
21 rather than an opt in or opt out, and you  
22 were talking about better technology that  
23 can interact with I guess the utility  
24 company or with the meters. Is there an

1           assumption underlying all this that that  
2           technology will be economically available to  
3           all customers? So it sort of goes in with  
4           the consumer protection for low-income  
5           customers.

6                        Are we in a world right now where  
7           we're -- we already have customers that have  
8           difficulty paying their bills or they have  
9           other economic challenges. They don't have  
10          access to all of the products and services  
11          that are available now. And in terms of  
12          looking forward, are we almost creating a  
13          wider divide to start with going down this  
14          road with the expectation of a lot of this  
15          working with new technologies and -- it's  
16          more of a philosophical question.

17                      MR. BIANCO: But also, nor do they  
18          have the credit to play in the type of  
19          markets that we might be talking about.

20                      MR. LeBEL: I can start and Abigail  
21          might have some additional thoughts. So  
22          I've talked to consumer advocates, "Do you  
23          think the low-income people would be left  
24          behind if they aren't able to get smart

1 meters, for example?" And he goes, "Well,  
2 they don't have Lamborghinis either."  
3 That's one attitude you can take. I think  
4 it might be better to focus on the other  
5 side of it whereas you have low-income  
6 programs that help them get the smart  
7 refrigerator just like -- I'm not sure in  
8 Rhode Island specifically, but Massachusetts  
9 has a very robust low-income energy  
10 efficiency program. Connecticut has  
11 something similar but maybe not quite as  
12 good where you help the low-income people  
13 get the better appliances that work with the  
14 energy system. So I think there's two  
15 possibilities here. Either you leave them  
16 in the black and white world or you help  
17 bring them into the color world.

18 MS. WILSON-FRIAS: Do you need  
19 broadband to work these particular devices?  
20 You need that? So that would be another  
21 aspect of connectivity.

22 MS. ANTHONY: I would just add that  
23 Utility Vision doesn't envision the  
24 deployment of technology for the sake of

1           technology. Like, we saw in telecom in the  
2           cellphone revolution, technology will drive  
3           change. It already is. It's coming into  
4           the market. People want it. But we don't  
5           see the -- for us, the end goal is not just  
6           to have these new things because they exist.  
7           The goal is to have a cleaner and lower cost  
8           energy system as a whole, and we'll include  
9           transportation and buildings in that  
10          calculation of a lower cost total energy  
11          system.

12                        So the deployment of technology,  
13           including advanced metering which can enable  
14           a lot of changes to how we consume, produce  
15           and pay for power is that the benefits  
16           should exceed the costs. And so as we think  
17           about moving forward, and as you deploy both  
18           the rate innovations or the objectives that  
19           we would like our regulated utility to  
20           achieve, those should all be thought out in  
21           the context and guided by a cost/benefit  
22           analysis that's comprehensive, that includes  
23           the full range of costs and benefits as we  
24           do in energy efficiency programs. And this

1           might indicate that -- as Mark said, we use  
2           a phased or strategic approach where you're  
3           addressing the most cost effective customer  
4           sectors first where you need more time in  
5           order for other customer sectors to become  
6           more cost effective as people learn or are  
7           educated or the technology costs come down  
8           over time. But I think the primary  
9           objective is not to deploy technology just  
10          because it exists but because it enables  
11          lower costs and greater benefits to  
12          consumers.

13                   MS. WILSON-FRIAS: I guess part of  
14          what raised this for me is -- I haven't  
15          worked on an energy efficiency case since  
16          2005. Back then we were struggling with  
17          delivering demand side management programs  
18          to low-income customers, renters and that  
19          sort of thing, and what I hear from people  
20          who are working on the energy efficiency  
21          cases now is that that challenge is still  
22          there ten years later and that challenge has  
23          always been there. And so I wonder how  
24          these innovations -- how the expectation is

1           that these innovations would be delivered to  
2           those same subsets of customers where the  
3           programs in place for the last -- a very  
4           long time, more than ten years, probably 20  
5           are still facing those delivery challenges,  
6           and so that's sort of where the question  
7           comes from.

8                       MS. BESSER:  Cindy, maybe I can  
9           respond.  This is not my strong suit,  
10          technology, but I'm going to speak to it  
11          anyway.  I think one of the key things with  
12          reaching low-income customers, there are  
13          different ways to deliver benefits to  
14          low-income customers, and if we haven't sent  
15          this to you already, we can send you a  
16          consultant report that NECEC filed in the  
17          Massachusetts time varying rate proceeding  
18          that really addresses some of the issues  
19          around low-income customers and do they  
20          benefit from time varying rates.

21                      And one of the key things as you  
22          think of deploying this technology is  
23          there's one way to say that everybody  
24          benefits if every single customer has the

1           technology. But another way to look at it  
2           is the way we've talked about energy  
3           efficiency system benefits for a long time.  
4           So not every customer has to have the  
5           technology, has to be taking advantage of  
6           time varying rates in order for all  
7           customers to benefit.

8                        So one of the key things that time  
9           varying rates can do is that it reduces peak  
10          consumption. Peak consumptions lowers the  
11          cost of the entire system for all customers.  
12          So that is one way in which low-income  
13          customers can benefit.

14                       I haven't done energy efficiency  
15          programs in a longer time than 2005, but I  
16          think that some of the discussion there and  
17          some of the models for distributed energy  
18          resources are how to give low-income  
19          customers access to solar, so community  
20          shared solar programs. So there are ways to  
21          get around some of the problems that don't  
22          involve putting solar on a low-income  
23          customer's house but allows them to take  
24          advantage of benefits that solar can

1 provide.

2 So I just offer that thought that  
3 as you think about the benefits and costs of  
4 new rate designs, new technologies, advanced  
5 metering, it's not just that -- think about  
6 the broader impacts. And some of the  
7 analysis and statistical analysis that's  
8 been done show significant benefits for all  
9 customers from time varying rates even if an  
10 individual customer is not participating.

11 The other key thing with this  
12 analysis that Armand Feruki did for us is  
13 that low-income customers generally  
14 subsidize now higher income larger customers  
15 because low-income customers' pattern of  
16 usage is less peaky than the high income  
17 customers' pattern of usage. There's a  
18 whole volume difference, but there's also a  
19 time difference of usage. The low-income  
20 customers, because of budget constraints,  
21 are already trying to reduce usage and so,  
22 in fact, pay more in some hours than high  
23 income customers.

24 MS. WILSON-FRIAS: This may be a

1 better question to save for Jeanne Lloyd  
2 later, but it was sort of referenced in the  
3 presentation. Would this be where you  
4 suggest looking at demand rates for  
5 residential customers?

6 MR. LeBEL: Yeah. I mean, in the  
7 long run when there's smart metering for  
8 certain classes of customers, demand charges  
9 based on system peaks should definitely be  
10 strongly considered.

11 MR. BIANCO: It just occurs to me  
12 that in thinking about those benefits, often  
13 times while a cost/benefit analysis would  
14 still be greater than one, let's say, the --  
15 to maximize benefits you often have to cut  
16 out certain users which might be low-income.  
17 So while overall the ratio might still work,  
18 sometimes maximizing benefits -- and I think  
19 that depends on what you limit your  
20 definition of benefits to. And I wonder if  
21 you have an opinion on whether or not in  
22 these types of -- you know, 15 years from  
23 now your visions, I guess, should the  
24 utility ratepayers be paying for societal

1 benefits as well as -- or should that be  
2 upon taxpayers?

3 MR. LeBEL: Well, we went from the  
4 low-income thing to the social  
5 externalities, so I'm not sure where to  
6 start. So to start with, the first thing,  
7 I'm not sure I agree with the premise  
8 entirely, and it depends on how you do  
9 things like community solar and other parts  
10 of the program that you can sort of try to  
11 design around that issue. But there's going  
12 to be a case-by-case  
13 investment-by-investment kind of thing. And  
14 on the social externality part, in other  
15 states I'm not sure how -- what stance we've  
16 taken on this in Rhode Island -- we do think  
17 that the cost of meeting state level  
18 greenhouse gas goals, targets, requirements,  
19 whatever you want to call it, is a relevant  
20 ratepayer consideration and consumer  
21 consideration. The social externality piece  
22 of it shouldn't necessarily go into rates,  
23 but as we shift towards situations where  
24 greenhouse gas limits are more binding, we

1 do think that some of those ratepayer cost  
2 items would be higher for greenhouse gasses  
3 to pick a hypothetical example about what  
4 sort of social externality you were talking  
5 about.

6 MR. BIANCO: Actually, I wasn't  
7 talking about that one. For example, if you  
8 were to have better outcomes for low-income  
9 ratepayers such that they might have lower  
10 arrearages or lower defaults, that's  
11 certainly a benefit to other ratepayers.  
12 However, if you were to lower their bills  
13 such that they have more money to spend on  
14 other necessities and that benefit flows to  
15 taxpayers because really stuff like  
16 healthcare and basic needs like food,  
17 housing are paid from taxpayers, not  
18 ratepayers, so taxpayers get those benefits.  
19 Should taxpayers be asked to chip in on some  
20 of these in that sense or should it all fall  
21 on ratepayers, and the cost/benefit  
22 analysis, if it passes, it passes and  
23 ratepayers should pay?

24 MS. BESSER: If I can offer a

1 thought on that. I think it depends on what  
2 you're including in your benefit/cost  
3 analysis if that was what your question was  
4 about. I actually heard it differently as  
5 well. I think as you make a decision as a  
6 regulatory agency as to whether you provide  
7 a low-income discount and that discount is  
8 picked up by other customers, in my  
9 experience, that kind of analysis focusses  
10 on reduced arrearages, reduced costs to the  
11 utility company which clearly go to the  
12 benefit of other utility customers. I can't  
13 think of an analysis, maybe the Grid people  
14 know, where the rationale for a low-income  
15 discount for electricity customers was that  
16 they then would have more money to spend in  
17 the rest of the economy and that that was  
18 the benefit that justified having low-income  
19 discounts. That's an area where I think in  
20 my experience the benefit/cost analysis has  
21 stuck pretty closely to benefits and costs  
22 that accrued to either the distribution  
23 utility or to all the customers.

24 I thought you were asking the

1 broader question. There is social policy  
2 that we do through electricity rates and we  
3 have done through electricity rates for 50  
4 plus years. I don't think Rhode Island is  
5 the worst of the states in these areas. New  
6 York has often held up as the model of --  
7 they don't want to raise taxes generally so  
8 they just tax the distribution charges of  
9 utilities, and National Grid can speak to  
10 this in spades because it's a challenge for  
11 the utilities to then go and say you know,  
12 "This rate increase you're getting has  
13 nothing to do with us, but we just got  
14 slapped with another two percent tax to  
15 balance the state budget." I don't know  
16 that -- I don't think Rhode Island has done  
17 that. So that kind of thing I think it's  
18 important to try to avoid. But where there  
19 are externalities that are a consequence of  
20 electricity production and use, those are  
21 properly I think brought into a benefit/cost  
22 analysis and how you set electricity rates.

23 MS. ANTHONY: I'm not even sure  
24 whether this is worth bringing up and folks

1           who are -- maybe National Grid will tell me  
2           I'm totally wrong, but I think that if you  
3           -- I think I'll save it for later.

4                   MR. BIANCO:   It's not like you're  
5           on the record or anything.

6                   MS. ANTHONY:   My thoughts were not  
7           fully formed yet.

8                   COMMISSIONER DeSIMONE:   Good time  
9           to switch to the National Grid presentation?

10                   MS. WILSON-FRIAS:   I think actually  
11           for New England Clean Energy Council.

12                   MS. BESSER:   Thank you, Cindy.   So  
13           you have in front of you a one-pager, not as  
14           elegant as the Arcadia slides, but one of  
15           the reasons that we wanted to delay this  
16           presentation was for the Massachusetts net  
17           metering and solar task force to conclude  
18           its deliberations and issue its report which  
19           it did on April 30th.

20                   So one of the things that Cindy  
21           asked us is what is our vision for what we  
22           want to see out of this proceeding and how  
23           do we want to see rates designed here in  
24           Rhode Island in a way that is going to

1           accomplish a variety of goals. And I think  
2           the two overarching goals are that there is  
3           fair compensation to distributed generation  
4           for the value it provides to the system and  
5           fair compensation to the distribution  
6           companies for use of the distribution grid.

7                        So certain circumstances in  
8           Massachusetts and Rhode Island are a bit  
9           different. And Mark mentioned in  
10          Massachusetts you can net meter away your  
11          entire bill, including the customer charge,  
12          so there are customers in Massachusetts who  
13          pay a zero bill. Here in Rhode Island  
14          that's not the case. You continue to pay  
15          the customer charge. I think you -- so you  
16          can net meter away the customer charge here  
17          as well for some customers? Okay. So then  
18          some of these issues are going to be the  
19          same.

20                       So when that happens, you know, the  
21          customer is essentially using the grid as a  
22          big storage device because its usage doesn't  
23          always match up with its production. So how  
24          does it pay for that? So the Mass. net

1 metering task force report actually reached  
2 consensus on principles that are on the back  
3 side of the page for fair compensation for  
4 use of the distribution grid. But it's  
5 important to understand that in the context  
6 of some of the language that's on the front  
7 side of the page because all of this  
8 language was carefully hashed out. I didn't  
9 even want to abbreviate it for fear of  
10 leaving out some word that was essential to  
11 one of the many parties involved in the  
12 process. And it was a task force of 17  
13 people, representatives from the utilities,  
14 National Grid and Everforce, New England  
15 Clean Energy Council, the National Consumer  
16 Law Center on behalf of low-income  
17 customers, associated industry in Mass. on  
18 behalf of business customers. The  
19 municipalities were represented, the unions  
20 were represented, several legislative  
21 representatives on the tasks force, the  
22 Attorney General's office who works as the  
23 consumer advocate.

24 So one of the positions was what

1           should net metering compensation be about?  
2           And it's about fair compensation for the  
3           value that solar provides to the grid.  
4           Position 1 reflects where there wasn't a  
5           consensus position. This one was the  
6           majority position. It wasn't shared by the  
7           utilities, but it was about the fact that  
8           there should be a comprehensive solar  
9           benefit/cost study in order to figure out  
10          what are the various value streams  
11          associated with -- in this case the focus  
12          was solar, but it could be standard to all  
13          DG, and I think Mark laid out in the Arcadia  
14          slide the value of solar analyses that  
15          Arcadia has done.

16                    The other big issue in  
17          Massachusetts which is not an issue here in  
18          Rhode Island is net metering caps. So right  
19          now there are caps on the amount of --  
20          percentage caps based on load for net  
21          metering. Those caps have largely been hit  
22          in the National Grid service territory. So  
23          the immediate issue in Massachusetts is  
24          removing the caps, and part of that was you

1 don't need caps if you have the fair  
2 compensation for use of the grid and the  
3 fair compensation for services that  
4 customers provide to the grid through  
5 distributed generation and about that  
6 underlay the renewable energy growth bill  
7 last year and led to this proceeding because  
8 the agreement that National Grid made at the  
9 time to eliminate caps on net metering here  
10 in Rhode Island relates to the fact that  
11 we're going to have this proceeding and  
12 figure out what is the fair compensation for  
13 use of the distribution grid.

14 So if you turn to the second page,  
15 you'll see that this is really -- the  
16 principles seem obvious, but it actually was  
17 carefully worded, that the task force  
18 members agreed that everyone who's connected  
19 should contribute toward the use of the grid  
20 and towards the system benefits charges that  
21 are included on the distribution company  
22 bill for public policy reasons.

23 So there's a low-income discount,  
24 there is the energy efficiency charge,

1           there's renewable energy charges and some  
2           might argue these are the charges that  
3           relate to the discussion we were just having  
4           of funding energy efficiency programs  
5           because, in fact, there are benefits to the  
6           electricity grid as a result of that. And  
7           the way they are collected is on a cents per  
8           kilowatt hour charge and, therefore, all  
9           customers should be paying that. But for  
10          customers who net meter in Massachusetts you  
11          don't end up paying that. Am I correct that  
12          in Rhode Island, in fact, the net metering  
13          credit deducts the energy efficiency charge?  
14          I think it will going forward.

15                 MR. ROUGHAN: It's the same as  
16          Massachusetts.

17                 MS. BESSER: So fewer differences  
18          than I thought. One of the principles is  
19          that the fair compensation should apply to  
20          all customers. So there was discussion  
21          about whether solar customers or DG  
22          customers should have their own rate class  
23          and, in fact, the agreement was they  
24          shouldn't be distinguished unless when

1           you're setting up rate classes, and Jeanne  
2           and Terry and the Grid team can tell you  
3           more about this is, when you have different  
4           classes when there are distinct patterns of  
5           uses, distinct different circumstances for  
6           customers, but if you were trying to lump  
7           all customers who have distributed  
8           generation, in fact, some of them are  
9           residential customers, some of them are  
10          commercial customers, some of them are  
11          industrial customers. They don't I think  
12          meet criteria that would constitute a  
13          special rate class for DG customers. So the  
14          result was fair compensation should apply to  
15          all customers.

16                 If, for example, it's something  
17          like a minimum bill, its impact will be  
18          different on different customers. So if I'm  
19          a customer who uses 100 kilowatt hours a  
20          month, it costs me \$100, just assume for  
21          simplicity sake, and the minimum bill is set  
22          at \$10, then it doesn't mean anything to me  
23          because I'm always paying more than \$10 a  
24          month so I don't see any impact of that.

1           But if I'm a customer who installs solar and  
2           I take my former \$100 a month bill down to  
3           \$6 a month but the minimum is \$10, then I'm  
4           going to pay \$10. So there's a \$4  
5           difference that I would see if I were that  
6           customer and there were, in fact, a minimum  
7           bill in place. So that's just a very  
8           simplistic example of why -- of how a policy  
9           applying to all customers will definitely  
10          impact customers differently based on their  
11          different usage.

12                   One of the other principles is that  
13          any level of charges associated with fair  
14          compensation such as a minimum bill or a  
15          demand charge would be reflective of the  
16          size and usage pattern of customers and  
17          would be mindful of low-income customer  
18          issues. So the same minimum bill wouldn't  
19          apply to our grandmother and her 300 square  
20          foot apartment as applies to your cousin who  
21          made it big and has a 5,000 square foot  
22          house. So there you have -- you want to  
23          tier your minimum bill is I think the term  
24          that National Grid has used. Then obviously

1 for commercial/industrial you're doing the  
2 same thing.

3           Specifics of rate design and rate  
4 level should be consistent with principles  
5 of efficiency, simplicity, continuity,  
6 fairness and earnings stability based on  
7 long established rate making principles.  
8 We're not talking about deviating from that.  
9 But that seemed to be an important thing to  
10 say.

11           In addition, there needs to be  
12 transparency and understandability so the  
13 customers understand what's on their bill.  
14 That doesn't mean that you have a long,  
15 complicated bill that lists every single  
16 little component of the charges. That does  
17 not enhance understandability for customers.  
18 But when you're talking about it in a  
19 general way, you can actually explain it to  
20 somebody in an elevator without ripping out  
21 spreadsheets as to how you're doing this.  
22 I'm being a little facetious and a little  
23 simplistic here, but the idea is that  
24 regular people can understand what we're

1           trying to do with rates.

2                       There's the mechanics about rate  
3 cases are not so important whether it be a  
4 rate case or a rate revenue neutral rate  
5 design proceeding such as this one, and in  
6 Massachusetts grid modernization filings are  
7 due in August, so that was offered up as an  
8 opportunity for setting these -- setting  
9 fair compensation and that obviously gets  
10 reviewed in every rate case.

11                      So I think the other couple of  
12 principles I want to discuss are -- and I  
13 think that Mark touched on this. You want  
14 to provide fair compensation for  
15 distribution companies in a way that does  
16 not undermine incentives for customers to  
17 take advantage of distributed energy  
18 resources, and by that I include energy  
19 efficiency, demand response and solar. So  
20 there are proposals around the country for  
21 high fixed charges. That in and of itself  
22 means that it can undermine the economics of  
23 choosing to do energy efficiency or  
24 distributed generation for customers. But

1 if you're going to be revenue neutral and  
2 you implement a high fixed charge, then you  
3 are lowering the charge per -- you may be  
4 lowering the charge per kilowatt hour and,  
5 again, that would be at odds with a goal to  
6 encourage customers to use energy  
7 efficiently. So lots of details there.  
8 Time varying rates can be structured so that  
9 you provide better incentives to the  
10 customers, certainly layer are on with --  
11 that can be combined with some kind of  
12 minimum bill as well as implemented on its  
13 own.

14 So some of the options that are  
15 consistent with these principles are a  
16 minimum bill-type construct. There's been  
17 lots of discussion about fixed versus  
18 variable charges. I think NECEC would  
19 prefer a minimum bill over a fixed charge,  
20 and going back to my simplicity example, if  
21 there's a fixed charge of \$10 and I'm using  
22 100 kilowatt hours, \$1 a kilowatt hour, my  
23 bill becomes \$110. So that, in fact, that's  
24 the difference between the impact on a

1 customer who doesn't change usage from a  
2 fixed charge that's added on versus a  
3 minimum bill which just means as long as I'm  
4 sort of floating above the level of the  
5 minimum, I don't see any difference. You  
6 can see various netting options that can  
7 take place. So even as you do all of this  
8 analysis for small customers, particularly  
9 for residential under 25 kW, you may not  
10 change anything about the way net metering  
11 works because you're close enough, and  
12 again, this gets to simplicity and  
13 understandability of customers so that the  
14 value provided is close enough to the  
15 service used and you continue to net meter  
16 in the way that we've understood it today.

17 I think some other considerations  
18 talked about transaction costs and  
19 complexity. So for the small customers you  
20 might want to do something like that. You  
21 want to talk about affordability.

22 One of the other big elements that  
23 I think this proceeding can provide a path  
24 to addressing is the fact that at the same

1 time that we're seeing the broader and  
2 broader deployment of distributed energy  
3 resources, there's the discussion about grid  
4 modernization and having the distribution  
5 company make investments on the system that  
6 will actually facilitate the integration of  
7 these distributed energy resources, so  
8 they'll be more valuable to the utility as  
9 well as more valuable to all of the other  
10 customers. So we have had public policies  
11 that promote this, but, in fact, the  
12 distribution utility hasn't had the  
13 opportunity to make some investments that  
14 would make all of this more valuable.

15 So for example, what the discussion  
16 in Massachusetts was was yes, we would want  
17 to give locational incentives to distributed  
18 resources to locate on those circuits where  
19 they could provide the most value and they  
20 may, in fact, in a planning process obviate  
21 the need for an investment in a substation.  
22 The companies has acknowledged that right  
23 now they actually can't tell distributed  
24 energy resources where that would be. They

1           can't tell DG and solar because they don't  
2           have the capability on the system to know  
3           that yet. So that's an investment that  
4           they're going to be required to make and  
5           that's an investment where the value or  
6           benefit of them being able to direct DG to  
7           better locations should be counted against  
8           the cost of making that investment. It's  
9           going to be a big challenge, but I think  
10          part of the discussion we're talking about  
11          here is how do we -- one of benefits of  
12          modernizing the grid will be better able to  
13          use and direct the location of distributed  
14          energy resources.

15                 So I think that concludes my formal  
16          remarks, but I think that's what I think  
17          this proceeding is a precursor to saying as  
18          we think about designing these rates, we  
19          want to think about that in the larger  
20          context of grid modernization. So thank  
21          you. I'm happy to answer any questions.

22                 MS. WILSON-FRIAS: I guess we've  
23          had a lot of discussion so far with --  
24          around net metering and how it would be

1 credited and the differences in  
2 Massachusetts and Rhode Island, and I  
3 wonder, first, can anybody tell me, in  
4 Massachusetts was it the legislature or the  
5 DPU that set how the net metering credit  
6 would be calculated?

7 MS. BESSER: In Massachusetts it  
8 was the legislature. It was legislation.

9 MS. WILSON-FRIAS: Okay. So just  
10 like in Rhode Island. Have you looked at it  
11 to see if there's any constraints -- let me  
12 backup and rephrase it.

13 In Rhode Island we have the net  
14 metering law and there's -- the credit is  
15 set out and there's been discussion of  
16 changes that might need to be considered  
17 with net metering. Have you looked at  
18 whether or not the law provides any  
19 constraints to what the vision is that you  
20 have?

21 MS. BESSER: The law here in Rhode  
22 Island?

23 MS. WILSON-FRIAS: Yes.

24 MS. BESSER: No. I think here what

1 we're talking about -- I haven't looked at  
2 it in that way. I'll be honest about that.  
3 I think here we've been focussed on this  
4 proceeding and the opportunity to ensure --  
5 address the utility's concerns about fair  
6 compensation for use of the distribution  
7 grid in light of the way the law is  
8 structured. I think we just modified that  
9 last year. And from the perspective of  
10 clean energy developers and providers I  
11 think we're not seeing any changes there,  
12 but we've acknowledged that within the  
13 construct of what's before the PUC, you can  
14 make a change in how the -- to ensure the  
15 distribution utility is seeing its fair  
16 compensation.

17 MS. WILSON-FRIAS: Okay.

18 MR. BIANCO: I had a couple  
19 questions. So talking about fair  
20 compensation, I mean, if some of these  
21 distributed energy resources were to take  
22 off like gangbusters -- it's an industry  
23 term -- how do you envision the compensation  
24 for a utility that did not have that

1 opportunity to invest in plant but rather  
2 avoided the investment in plant?

3 MS. BESSER: I'm not understanding.  
4 So there's lots of DER here in Rhode Island.

5 MR. BIANCO: Let's say I put in a  
6 renewable energy resource, I pay for the  
7 interconnection and I have eliminated the  
8 need for a new substation, a new tap line  
9 which is how a utility makes money, right?  
10 I mean, they build a plant and they earn --

11 MS. BESSER: Right.

12 MR. BIANCO: Do you have an idea on  
13 what that fair investment looks like in the  
14 future where lots of utility investment is  
15 not necessary because of user investment,  
16 ratepayer investment?

17 MS. BESSER: So we've done a lot of  
18 thinking about that and that actually is the  
19 big question. The elephant in the room as  
20 we proceed down this path is what is the  
21 future utility model going to look like and  
22 what is the future regulatory model that is  
23 actually going to align the interests of  
24 customers who are installing distributed

1 energy with the interests of the  
2 distribution utility that to date makes it  
3 money based on its capital investment in the  
4 system. So I think NECEC has commented on  
5 this issue in Massachusetts and in New York  
6 in terms of things like time varying rates.

7 With National Grid, in fact, we  
8 developed a utility of the future regulatory  
9 model that if we haven't shared that with  
10 you, I'd be glad to share that with you.  
11 This was in a report that we provided to the  
12 Mass. DPU in the summer of 2013.

13 Interestingly, a number of the elements of  
14 that model are here in place in Rhode  
15 Island; they are not in place in  
16 Massachusetts. So it involves things like  
17 forward looking test years. I think what  
18 needs more work are performance metrics and  
19 incentives. Recent discussions,  
20 presentations I've heard folks from National  
21 Grid give in other contexts talk about the  
22 -- moving the incentive from CAP-X, making  
23 it -- there's TOT-EX is the latest phrase  
24 that's being used, but enabling utilities to

1           make a decision versus a capital versus an  
2           operational investment and not have this  
3           bias towards a capital investment which is  
4           not a bias because they have bad intentions,  
5           but it's, as you said, how they make their  
6           money. They're a business that wants to be  
7           -- and we want them to be doing well, and  
8           so, therefore, I think there's a number of  
9           different regulatory constructs. And I'm  
10          pretty sure we've shared our white paper on  
11          grid modernization, too, but it also  
12          addresses these issues.

13                   MR. BIANCO: Can I ask, on the back  
14          page of this handout under the fair  
15          compensation for use of the distributed  
16          grid, Point 4 is fair compensation  
17          mechanisms should be designed appropriately  
18          for low-income -- I'm sorry. I'm reading  
19          the wrong point. Point 3. The level of any  
20          charges associated with a fair compensation  
21          mechanism for a group of customers or rate  
22          class should take into account customer size  
23          and/or other service characteristics in  
24          order to develop appropriately sized

1 contributions. So I can read, which is  
2 good. But -- so maybe I'm reading too  
3 deeply into it, but I want to propose an end  
4 member model, right, in which -- well, first  
5 I'll say it seems to me that as more DG or  
6 more of these resources come onto the  
7 system, there is less and less or  
8 decreasingly increasing benefits to all  
9 other customers possibly, or maybe it ramps  
10 up at first and then sort of decreases to  
11 the point where at some point imagine an end  
12 member scenario where all ratepayers had  
13 systems that sold as much energy onto the  
14 system as they needed and so you have a  
15 minimum charge, or in the case where no  
16 minimum charge, literally nobody owes  
17 anything for, you know, what is a few  
18 hundred million dollar distribution system.

19 When you think about that group  
20 should you take -- rather than look at  
21 individual systems and saying this is what  
22 the system provides with time-of-use rates,  
23 I mean, do you need to look at this is what  
24 this level of uptake of these types of

1 systems provide and allocate costs that way?

2 MS. BESSER: Okay. So this is the  
3 scenario that gets played out as the EEI's  
4 disruptive challenges report from January of  
5 2013. This is the death spiral --

6 MR. BIANCO: Of course.

7 MS. BESSER: -- scenario that's out  
8 there that I've heard for the 25 years, 30  
9 years, actually, probably now that I've been  
10 in the business. It started with Seabrook  
11 was going to cause the death spiral because  
12 rates would go so high and all the customers  
13 would leave. And do you know what? I don't  
14 think it's going to happen. Here's the  
15 rationale. One, if -- you're not setting  
16 your rates right if, in fact, every customer  
17 can leave and no one is left paying the  
18 bill. NECEC is not suggesting something  
19 like that. In fact, short of a real  
20 technology innovation that we haven't seen  
21 yet that I compare to the -- I think it's  
22 called the flux capacitor in Back to the  
23 Future where you can take your banana peels,  
24 throw them into this little thing that looks

1           like a coffee maker and run your car and run  
2           your house. We're going to need a  
3           distribution grid and we're going to need  
4           wires and, therefore, we're going to have to  
5           pay for those. And every customer -- I  
6           shouldn't say every. The vast majority of  
7           customers that have installed distributed  
8           resources remain connected to the grid and  
9           they should pay for that service. So  
10          therefore, we're not suggesting a construct  
11          where net metering means that you're always  
12          running the meter backward.

13                    In terms of if you have time  
14          varying rates, what's going to happen is you  
15          would be paid more when your power that  
16          you're producing is worth more and you would  
17          pay more if you were using power at a peak  
18          time. Money will keep changing hands.  
19          We're not suggesting a scenario -- if you  
20          want to cut the cord to the grid, then you  
21          don't have to pay anything for the grid.  
22          But that's very, very few customers. So  
23          I've said something here and certainly the  
24          intent here, as Peter can attest because he

1 was participating in the Massachusetts  
2 project, there's no intent here to somehow  
3 come up with a scenario where customers  
4 don't pay for the usage of the grid. In  
5 fact, just the opposite. I may have  
6 misunderstood your question.

7 MR. BIANCO: No, I don't think you  
8 did. What I mean in addition to that, which  
9 I think it was good that we discussed that,  
10 is just you would agree, though, at least,  
11 that -- I mean, the more -- at some point  
12 the benefits of additional distributed  
13 generation start to decrease.

14 MS. BESSER: If the benefits of  
15 more DER decrease, then the value that  
16 they're providing is less and the payment or  
17 compensation they get would be less, so I  
18 think that it will depend. There may be  
19 circuits where more DG -- actually, we've  
20 seen this in Massachusetts. You can't put  
21 any more DG on a circuit because there's  
22 already too much generation on a circuit  
23 that wasn't built for generation. Part of  
24 what we're saying is let's give the utility

1 incentives to start to build out its  
2 circuits so there can be two-way power  
3 flows, but at that point, I'm sorry, if you  
4 want to connect DG, you can't actually net  
5 meter, and frankly, you can't even connect  
6 it to the grid because you just can't do it.  
7 So that's happening for Unitil's service  
8 territory in Massachusetts in some circuits  
9 and in Southeastern Mass., which might be  
10 Eversource's territory --

11 MR. ROUGHAN: The land of  
12 Eversource.

13 MS. BESSER: The land of  
14 Eversource, yes. So yes, when you are  
15 putting too much of anything on the system  
16 and it makes no economic sense, you're not  
17 going to pay it.

18 MR. BIANCO: Right. Okay. So --

19 MS. BESSER: And likewise, we  
20 wouldn't want to pay National Grid for  
21 overbuilding distribution. I just had to be  
22 evenhanded.

23 MR. BIANCO: So in that sense would  
24 that be -- maybe there's no caps suggested

1 in benefits or payments, but I mean, at some  
2 point there should be caps on the limitation  
3 of the amount of DG based on -- to the  
4 extent that they provide benefits on the  
5 circuits they're connected to.

6 MS. BESSER: No. So what I would  
7 say is there's no need for a net metering  
8 cap. There's no need for -- well, the cap  
9 on DG will be the technical ability to  
10 interconnect it. So if a circuit can't  
11 accommodate another solar generator, it  
12 can't accommodate that without hurting the  
13 reliability of the grid, and Tim probably  
14 could explain better than I why that's the  
15 case. So then you're told, "No, you can't  
16 connect." I'm on a street right now where  
17 I'm trying to get gas service. There is no  
18 pipe in the road so I can't get gas service.  
19 There are certain physical constraints in  
20 the system, the electric and the gas system,  
21 that we're not suggesting you somehow  
22 magically ignore or try to overcome. Some  
23 people will not be able to interconnect.

24 MR. BIANCO: So to respond to that,

1           though, so the current renewable energy  
2           programs in Rhode Island, if they were to  
3           continue, actually do account for that,  
4           right? I mean, as customers try ever  
5           increasingly complicated interconnections,  
6           that will eventually be picked up in the  
7           average prices of interconnection which will  
8           be reflected in ceiling prices.

9                   MS. BESSER: Seth could speak to  
10           some of this, but what happens in Rhode  
11           Island and pretty much everywhere else is if  
12           I'm making a bid into the Rhode Island  
13           renewable energy load program and the cost  
14           to interconnect my project is going to be  
15           really high because I'm on a circuit that's  
16           limited, then I'm not going to win the bid  
17           because the cost of Abigail's project which  
18           is on a circuit that really has plenty of  
19           room and actually could benefit, she's going  
20           to be able to put in a lower bid because  
21           it's going to cost her less to do the  
22           project.

23                   MR. BIANCO: But if those large  
24           projects have nowhere to interconnect except

1           expensive places, one might say well, then,  
2           no large projects are economically  
3           beneficial in Rhode Island. What I think  
4           the renewable energy growth program would  
5           allow for is for the ceiling price to go up  
6           to accommodate those projects.

7                   MS. BESSER: I don't think I'm  
8           completely understanding the scenario you're  
9           playing out. So if the ceiling price goes  
10          up because the cost of -- I'm not going to  
11          remember the numbers for Rhode Island, but a  
12          large Rhode Island project is X.

13                   MS. PENNOCK: Two megawatts.

14                   MS. BESSER: Two megawatts. So  
15          it's a two megawatt project and the ceiling  
16          price for a two megawatt project is set by  
17          the DG Board at --

18                   MS. PENNOCK: \$.17.

19                   MS. BESSER: \$.17. Okay? And what  
20          you're saying is because we've used up all  
21          of the space on the distribution system, the  
22          ceiling price would have to be \$.25 because  
23          it costs eight more cents to interconnect  
24          anywhere. Part of what you're going to do

1 with that \$.08 is -- the reason the DG guy  
2 is going to need it is because he's going to  
3 be paying it to National Grid to update the  
4 distribution system so they can  
5 interconnect.

6 MR. BIANCO: What benefit would  
7 that provide to everyone else in that sense?  
8 It's not the same as DG coming on and  
9 eliminating the need for capacity or selling  
10 energy otherwise -- when it would be  
11 otherwise be hard. It's actually saying  
12 we're going to build out so that we can  
13 accommodate --

14 MS. BESSER: Build out the  
15 distribution system so you can accommodate  
16 larger projects that are going to have a  
17 whole lot of benefits that are in Arcadia  
18 Center's back-in benefits. If you get to  
19 the point -- I'm not going to be able to  
20 turn to the page quickly, but if you get to  
21 some of those benefits --

22 MR. LeBEL: I think the point is at  
23 some point you run out of benefits from  
24 additional solar just like you run out of

1 benefits from additional nuclear plants or  
2 additional anything else.

3 MR. BIANCO: Right. So that should  
4 be reflected in any kind of design of  
5 minimum charge, no charge or fixed charge.

6 MR. LeBEL: Any rate design has to  
7 be updated every -- pick a number of years.

8 MR. BIANCO: That's the hard part  
9 because people are making long decisions on  
10 these installations.

11 MS. BESSER: If you make a decision  
12 at a point in time where the economics for  
13 you, you are entitled to that rate for the  
14 period of time, that rate class. The dollar  
15 value of the rate may change. That happens  
16 with net metering now. So this winter  
17 people who were net metering got more  
18 revenues than they got last winter because  
19 electricity prices were higher, the retail  
20 rate for electric prices. So that kind of  
21 fluctuation will take place as rates go up  
22 and down.

23 So as I make a decision about  
24 investing in DG here today, say electricity

1           -- we -- while they're digging the  
2           foundations for the Block Island project  
3           they hit natural gas pockets and suddenly  
4           Rhode Island is exporting natural gas to the  
5           rest of the region and electricity prices  
6           crash everywhere in the region.  If I put in  
7           solar, I'm going to get less money.  But I'm  
8           still entitled to my --

9                   MR. BIANCO:  No, you're not.  I'm  
10           sorry.  You actually wouldn't under the REG,  
11           and that's the point.  I pose to grid, why  
12           would anybody net meter?  On a financial  
13           decision why would you ever net meter as a  
14           residential if you need \$.42 per kilowatt  
15           hour to make your money back with a  
16           reasonable return?  That's what's approved  
17           as a ceiling price.

18                   MS. BESSER:  So you'll get the  
19           ceiling price here for the 15 or 20 years of  
20           the tariff and that's based on a reasonable  
21           projection that it's probably pretty  
22           unlikely that we're going to hit gas in  
23           Nantucket Sound.  So yes, you're right.

24                   MR. BIANCO:  I guess I don't

1 understand.

2 MS. BESSER: But it's time limited.

3 MR. BIANCO: It's not based on my  
4 projection of this miracle happening. It's  
5 actually based on the cost of the  
6 installation plus a reasonable rate of  
7 return as we do with regular utility  
8 regulation. Net metering, however, is a  
9 guess based on whether or not energy prices  
10 might go up or down and I'm pretty sure it's  
11 socially, whatever your decisions might be,  
12 but I think for residential if you're  
13 telling me \$.42 is what's necessary, net  
14 metering is a loser because we've never seen  
15 rates like that.

16 MS. BESSER: Let me just say one  
17 thing in response to that and then I'll let  
18 Jerry respond. So one of the things that  
19 goes on in the Rhode Island program and in  
20 other programs is there's two components to  
21 the compensation for distributed generation.  
22 There's the fair compensation for the value  
23 it provides for which net metering has been  
24 a proxy, and then there are additional

1 incentives on top of that that are part of  
2 public policy because, in fact, we think  
3 that building that industry is going to lead  
4 to lower costs and benefits for future.

5 So in Rhode Island that's the REG  
6 program and the way the incentive level gets  
7 set and the net metering is netted from  
8 that. In Massachusetts you have the net  
9 metering stream and then you have what's  
10 called the S-REC or the solar REC stream of  
11 incentive payments on top of the fair  
12 compensation for the solar for which net  
13 metering is a proxy. So what we're talking  
14 about, and I'm sorry if I wasn't clear in  
15 all of these discussions, is what is -- the  
16 net metering piece of it is fair  
17 compensation for value of the solar. To the  
18 extent that that is not a sufficient revenue  
19 stream to develop 160 megawatts of  
20 renewables which is what the legislature  
21 wants to see out of the REG program, then  
22 you have an additional incentive on top of  
23 that. That's capped at 160 megawatts.  
24 That's a defined program here in Rhode

1           Island. In Massachusetts you have the 1,600  
2           megawatt goal. You have the S-REC program  
3           goes only until you hit the 1,600 megawatts.  
4           So you've got the net metering piece and  
5           then you've got the extra piece on top of  
6           that. They're looking at how to do that  
7           more efficiently. So it's two components.  
8           At some point the incentive will go to zero  
9           because, in fact, there won't be any  
10          additional value of the solar and,  
11          therefore, you won't -- the fair  
12          compensation piece won't be enough to cover  
13          -- to incent the level of solar or to  
14          support the level of solar that really is  
15          appropriate in the market.

16                   MR. BIANCO: So this is my final  
17          question toward that which is then at some  
18          point as we think about this distribution  
19          rate, I mean, when we talk about rate  
20          stability, does there need to be another  
21          standard of rate stability applied to those  
22          types of rates if people need to make  
23          decisions on a 15-year investment or are we  
24          -- should we be looking at this annually and

1 allocating costs that way?

2 MS. BESSER: So are you talking  
3 about looking at rates paid to the  
4 distributed generators annually?

5 MR. BIANCO: Yeah. That's right.  
6 So unlike DG, net metering will be exposed  
7 to, say, annual rates --

8 MS. BESSER: Right.

9 MR. BIANCO: -- as they are now, or  
10 six-month rates or even time-of-use rates.  
11 On the distribution side, do we need to  
12 think about rate stability in calculating  
13 the benefits they provide to the system or  
14 do we need to be flexible annually and say  
15 actually, your system, because a lot of  
16 other people put net metering on their  
17 roofs --

18 MS. BESSER: No.

19 MR. BIANCO: -- you no longer  
20 provide the same benefits you did, so  
21 actually your rates change.

22 MS. BESSER: No. If you do that,  
23 no one will invest here in Rhode Island.  
24 That's the bottom line. If you don't want

1           to see any investment in renewable energy,  
2           then you can do ad hoc changes every year.  
3           The idea after much deliberation and built  
4           into the legislation is that with a  
5           15-to-20-year stream of payments, that it's  
6           certain people will invest here in Rhode  
7           Island. Companies will build here, and  
8           we've seen the success of the 40 megawatt  
9           program. But again, that's why it's not an  
10          unlimited program. It's a 160 megawatt  
11          program and then you can see how successful  
12          it is and how -- the value that it's  
13          provided to customers. The benefits are --  
14          the projections of the benefits greatly  
15          exceed the costs of the program. It's been  
16          structured to prevent some of scenario that  
17          would lead to paying for things that aren't  
18          useful.

19                    I think what I'm sort of hearing  
20                    maybe underneath your question is that as  
21                    you think about -- so that's about fair  
22                    compensation to distributed generation.  
23                    That's been set by the law. That's not  
24                    something that we think the Commission here

1 is revisiting, but if you have that  
2 compensation mechanism in place and you  
3 recognize that those customers are using the  
4 distribution system, right now distribution  
5 rates are not designed or not well -- or may  
6 not be well designed to ensure that the  
7 distribution company is compensated for use  
8 of the system. And that's what we want to  
9 explore here is how do you design the rates  
10 so that the distribution company gets  
11 compensated for using the distribution grid  
12 so it can make the appropriate investments  
13 that will enable the DER and reduce the cost  
14 of the DER for all customers and not set up  
15 weird price signals that would undermine the  
16 accomplishments of the DER goals and the  
17 energy efficiency goals.

18 MR. BIANCO: But do you set that up  
19 so that it stays -- I mean, you set it up so  
20 it's transparent, but then do you set it up  
21 so that it moves with the distribution  
22 system or that it does not time vary? This  
23 is how it's going -- you should expect this  
24 type of fixed price for the next five years

1 and --

2 MS. BESSER: Maybe now I'm  
3 understanding your question. The utility's  
4 charges for use of the distribution system  
5 we expect would be revisited in every rate  
6 case that the utility files to see if  
7 they're appropriate. If something has  
8 caused the utility's costs to go up, then  
9 those rates may go up. If something happens  
10 to cause them to go down, those rates may go  
11 down. So you're not guaranteeing -- is that  
12 not --

13 MR. BIANCO: That's one side of it.  
14 And then also the other side is that it's  
15 not just the cost to the utility but the  
16 benefits provided by the time varying uptake  
17 of distributed generation that might affect  
18 --

19 MS. BESSER: Right now I think we  
20 have projected in the ceiling prices --  
21 Charity, you can help me out here, are based  
22 on a projection of what a certain amount of  
23 DG needs to be able to invest and be built  
24 here in Rhode Island and there's been a

1 policy decision that that is the way to go  
2 and we are not revisiting that. We're not  
3 suggesting to revisit that. If something  
4 were to happen dramatically in the market  
5 that either the prices of DG went up  
6 significantly or down significantly, I  
7 imagine the legislature would intervene and  
8 put something new in place but, again,  
9 you've limited this to 160 megawatts. I  
10 don't know if the total cost of the program  
11 has been projected. It's bounded.

12 MR. BIANCO: I'm just talking about  
13 the distribution rates, not DG ceiling  
14 prices, just distribution rates. The  
15 distribution rate, the design of a  
16 distribution rate that accounts for the  
17 benefits of distributed generation resources  
18 it occurs to me might be time varying,  
19 however, it also occurs to me that investors  
20 might not like things that vary with time.  
21 What I'm wondering is do you set the rates  
22 so that it can vary with time as the  
23 benefits and costs of the system vary with  
24 time or do you just set it at a rate and

1 forget about it for five years?

2 MS. BESSER: In Rhode Island the  
3 way you structured the incentive program,  
4 because the net metering is netted out of  
5 the incentive, so if the value of net  
6 metering changes here in Rhode Island, say  
7 it was -- I don't know, what? \$.15,  
8 whatever the retail charge was this winter  
9 and next winter it's going to be we hope  
10 lower because we want retail rates to be  
11 lower, it already moves around so there's  
12 nothing -- that will happen. I think I'm  
13 missing this question.

14 MR. BIANCO: I think you've got it  
15 right there if your idea is that it should  
16 move.

17 MS. BESSER: We're not talking at  
18 all about -- in assuring fair compensation  
19 to the distribution company for use of the  
20 grid we're not suggesting in any way that  
21 you're fixing the net metering component  
22 within the incentive program, and I think  
23 the beauty of the way the Rhode Island  
24 incentive program has been designed is that,

1           in fact, the DG company will continue to  
2           invest because they have their 15-to-20-year  
3           stream of payments and if some of that money  
4           comes from net metering and some of it comes  
5           from the incentive, they still know the  
6           total is X.

7                       MR. LeBEL: I think in general  
8           Janet is right, but there are some  
9           scenarios, like, say you transitioned  
10          transmission and distribution fully to a  
11          demand charge that for whatever reason  
12          provided zero benefit for the solar, I think  
13          you'd want to make a separate adjustment  
14          just to reflect some other part of the  
15          value. I mean, you can -- there's a lot of  
16          different ways you could do it. I don't  
17          think in the long run, and I have to look at  
18          exactly what the law allows here and we can  
19          get into that later. I think in  
20          Massachusetts we -- at least we are probably  
21          going to suggest having a separate  
22          distribution benefit charge and credit  
23          system that is not directly tied to the  
24          distribution rate, the retail distribution

1 rate. So that is something to consider.  
2 You wouldn't want to change it every six  
3 months. You could change it every five  
4 years, but there are important trade-offs to  
5 be made between financability, getting  
6 projects built and having that flexibility  
7 to get the right costs and benefits over  
8 time.

9 MR. ELMER: I just want to clarify  
10 a few things that may have been misstated.  
11 The legislature has set the rate for net  
12 metering at the sum of the commodity and  
13 distribution transmission charge. The  
14 legislature has set the compensation under  
15 the renewable energy growth program to be  
16 determined annually by the DG Board. The DG  
17 Board is charged by the legislature with  
18 setting that compensation high enough to  
19 fill the annual goals in megawatts.

20 Mr. Bianco, I think you're correct  
21 that in the real world because the  
22 compensation that is being set by the DG  
23 Board every year is substantially higher  
24 than what the same person would get for net

1 metering, it is probably rational for a  
2 developer to go in for a DG tariff rather  
3 than net metering, although I want to point  
4 out two things about net metering. One is  
5 that net metering is a default under Rhode  
6 Island law so that when that 15-year tariff  
7 is over, the developer can still default to  
8 net metering if she wants. And  
9 additionally, as Miss Besser said, there is  
10 an upper limit on the renewable energy  
11 growth program. So after those full 160  
12 megawatts are spoken for in the tariff, any  
13 developer can also net meter and Rhode  
14 Island, in contrast to Massachusetts, Rhode  
15 Island now does not have a net metering --  
16 an aggregate net metering cap.

17 Finally, there is a provision in  
18 the renewable energy growth program statute  
19 that shouldn't be confusing. It is the  
20 distribution company's election to account  
21 for compensation to somebody who has a  
22 renewable energy growth tariff, they can  
23 account for part of the compensation under  
24 the net metering part as long as they do a

1 trueup in effect and give the full DG tariff  
2 to the owner. And I mean, part of the  
3 reason that this is important is I think we  
4 need to keep in mind that the statutory  
5 ambit of this proceeding of 4545 and the  
6 follow-on proceeding that's going to be  
7 opened on July 1st is setting appropriate  
8 compensation for the distribution utility in  
9 light of the anticipated growth in  
10 distributed generation and/or net metering.  
11 I don't think we are properly looking at  
12 compensation for the renewable energy  
13 developer which has been set by the  
14 legislature in the case of net metering and  
15 by the legislature through the DG Board in  
16 the case of the renewable energy program.  
17 That's done. The General Assembly has done  
18 that. This proceeding is looking at  
19 ensuring, with an E, that the distribution  
20 utility is properly compensated for  
21 maintaining the distribution system in light  
22 of what we expect is going to happen or hope  
23 is going to happen, anticipate is going to  
24 happen with distributed resources as a

1 consequence of the 2014 statutory  
2 enactments.

3 COMMISSIONER DeSIMONE: I actually  
4 probably think this is a good time for --  
5 maybe you need a short break and then we can  
6 pick up with the National Grid presentation.  
7 We're starting to get a little bit off  
8 schedule. I'm sure we can fill in with some  
9 questions on all of these topics at the end  
10 also.

11 THE CHAIRPERSON: How long?

12 COMMISSIONER DeSIMONE: Five  
13 minutes.

14 (RECESS)

15 THE CHAIRPERSON: So National Grid?

16 MS. O'BRIEN: Thank you. We have  
17 two presentations today. The first one will  
18 be Jeanne Lloyd and then Peter Zschokke  
19 providing an explanation using a  
20 hypothetical example of the impact of  
21 different cost recovery methods. I know we  
22 specifically are looking at energy  
23 efficiency and the ISR plan program. And  
24 then there will be a separate presentation

1           that Tim Roughan will provide which is  
2           giving an update on the National Grid system  
3           reliability demand link pilot update, that  
4           pilot program. So I'll turn it over to  
5           Jeanne Lloyd and she'll take you through the  
6           first presentation.

7                   MS. LLOYD: The first part of this  
8           presentation, we're going to attempt to  
9           address the specific question or issue that  
10          was in the agenda for the meeting which was  
11          produce illustrative scenarios that show how  
12          two of your existing mechanisms,  
13          specifically the energy efficiency program  
14          charge and the infrastructure safety and  
15          reliability mechanism, allocate costs, do  
16          rate design and impact customers in various  
17          ways.

18                   So for my part of the presentation  
19          that's what I'm going to run through. So  
20          the assumptions that we're using in our  
21          hypothetical are we're going to recover \$10  
22          million annually. And we're not going to  
23          worry about what the 10 million represents  
24          and whether it appropriately should be

1 through energy efficiency or ISR. It's just  
2 10 million. So this truly is just a  
3 mathematical exercise at this point.

4 So for discussion purposes we're  
5 going to talk about does it matter, really,  
6 which mechanism that we recover it through.  
7 So from a cost perspective, purely cost  
8 perspective, either mechanism, energy  
9 efficiency or ISR is effective at recovering  
10 \$10 million in a year. They're both fully  
11 reconciling so we can fully recover those  
12 costs effectively in either mechanism.  
13 However, from a bill impact perspective,  
14 which is how it affects individual  
15 customers, it does matter.

16 So why does it matter? Because in  
17 each of those mechanisms they're designed  
18 differently. Costs are allocated  
19 differently to customers and the rates are  
20 designed differently so that different types  
21 of customers will end up paying different  
22 amounts depending on which mechanism we use.  
23 So as I said, we flip the -- switch to -- or  
24 flip to Slide 6, this really is just a

1           mathematical exercise.

2                       So what we're showing on Slide 6 is  
3           a summary of the allocation methods. So the  
4           top part of the table we're showing the  
5           various allocation factors. And I guess I  
6           should stop just to indicate the rate  
7           classes, and we discussed those over the  
8           various meetings, but just to briefly  
9           summarize, the A-16 and 60 is our regular  
10          residential and low-income residential  
11          class. CO-6 are small commercial customers.  
12          G-02, G-32 and G-62 are kind of medium,  
13          large and very large respectively. S are  
14          our outdoor lighting customers and X-01,  
15          there's a single customer in that class.  
16          It's for electric propulsion.

17                      So referring to the allocation  
18          factors on the left, these are the --  
19          there's actually three of them. There's two  
20          mechanisms, energy efficiency and ISR, but  
21          within the ISR mechanism we have two types  
22          of recovery. So let's talk about energy  
23          efficiency first.

24                      Energy efficiency is what we also

1 refer to as a uniform factor meaning on a  
2 per kilowatt hour basis, every customer pays  
3 the same on a per unit basis. It's the same  
4 rate. That's equivalent to allocating a  
5 dollar amount to customers based on their  
6 kilowatt hour usage. So that's what I'm  
7 demonstrating on the first line which is the  
8 percentage of the \$10 million that would go  
9 to each rate class if it were allocated on  
10 the kilowatt hour use of that rate class.  
11 Through the ISR factor there's an O&M,  
12 operations and maintenance component and  
13 there's a capital component. The O&M  
14 component which collects veg management,  
15 inspection and maintenance costs, that's  
16 allocated on an O&M allocation factor. That  
17 factor is based on the allocated O&M  
18 expenses from our last rate case. The CapEx  
19 factor which recovers the capital investment  
20 through the plan in each year is allocated  
21 on a rate base allocator. Again, that  
22 allocator was developed in our last rate  
23 case and it was the result of the allocated  
24 capital investment and offsets to rate base.

1           So again, this is just a summary of  
2           that \$10 million -- of those allocation  
3           factors so you can contrast and compare the  
4           percentage that would be going to each of  
5           the rate classes. So for example, for the  
6           residential class, 52.8 percent of the 10  
7           million will go to that class if we use the  
8           CapEx factor and 40.8 percent would go to  
9           that class if we use the energy efficiency  
10          program mechanism.

11          The middle section is showing the  
12          same thing except on a dollar basis. So all  
13          I've done is taken the percentages up above,  
14          multiplied those by the \$10 million and  
15          that's the resulting annual revenue that  
16          would need to be collected from each of  
17          those classes to result in the total \$10  
18          million.

19          The bottom sections are the per  
20          unit charges that would be developed in  
21          accordance with each of those mechanisms.  
22          So as I said before, energy efficiency  
23          results in a uniform charge, so it's the  
24          same per kilowatt hour charge to every

1 customer. The O&M factor is a per kilowatt  
2 hour charge to all classes except the G-62  
3 class. So what we did to develop those  
4 charges is we take those allocated dollars  
5 that you see in the middle section, we  
6 divide it by the total kilowatt hours for  
7 each of the rate classes and that results in  
8 the individual per kilowatt hour charges  
9 that are shown on that line.

10 MR. ELMER: Why do we not count the  
11 G-62?

12 MS. LLOYD: We count it, it's just  
13 that we develop a per kW charge for that  
14 class. So you can see that on the line  
15 right below, that class would have a charge  
16 of \$.26 per kW. It's just that particular  
17 class has no kilowatt hour component  
18 applicable to the distribution charges, so  
19 everything in distribution is customer  
20 charge or kW.

21 And finally, the CapEx mechanism  
22 for residential, small commercial and  
23 outdoor lighting and X-01 we developed a  
24 kilowatt hour charge in the same way as we

1 do for the O&M mechanism and then the other  
2 three classes we develop per kW charges for  
3 those. Those three classes do have a demand  
4 component. We measure that and we can bill  
5 that on a kW basis.

6 The next two pages are the bill  
7 impacts that would result from implementing  
8 each of those charges.

9 MS. WILSON-FRIAS: Jeanne, can I  
10 just interrupt you for one second? Back on  
11 Page 6, when we look under the section that  
12 says rate design, the -- each of the  
13 factors, so either the energy efficiency or  
14 the O&M factor or the CapEx factor, is each  
15 of those designed to collect the total \$10  
16 million?

17 MS. LLOYD: Yes. Based on the  
18 units that are assumed in this example, it  
19 would collect 10 million under either or any  
20 of the mechanisms.

21 MS. WILSON-FRIAS: Thank you.

22 MS. BESSER: Could I ask a  
23 clarifying question?

24 MS. WILSON-FRIAS: Yes.

1 MS. BESSER: Jeanne, you have for  
2 G-2, B/G-32 and B/G-62 under the CapEx  
3 factor, you did that as a kilowatt hour  
4 charge?

5 MS. LLOYD: A demand charge.

6 MS. BESSER: A demand charge.  
7 Could you have done that as the kilowatt  
8 hour charge? Because they are billed on  
9 kilowatt hours, too.

10 MS. LLOYD: You could have done it  
11 as a kilowatt hour charge and we could have  
12 done the O&M factor as a kW charge. You can  
13 do it either way, actually, because we would  
14 have the units available for either.

15 MS. BESSER: Would it be possible  
16 to see what the kilowatt hour charges are  
17 for those just for comparison purposes?

18 MS. LLOYD: I can calculate them.  
19 Like I said, I'm using in this example the  
20 method that we do -- that we used today  
21 which is as provided for in the tariff, so  
22 that's why it's presented that way.

23 MS. BESSER: Okay. Thank you.

24 MS. LLOYD: You could figure out by

1           looking how it would compare to the other  
2           classes by just looking at the allocated  
3           dollars, too.

4                   MS. BESSER:   Okay.

5                   MS. LLOYD:   If it would be lower or  
6           higher.  Slides 7 and 8 are the bill  
7           impacts.  So on Slide 7 what I've done is  
8           I've taken a typical customer from each of  
9           the rate classes, and the usage for that  
10          customer is indicated in the column labeled  
11          monthly usage, and then I've applied each of  
12          the charges developed on the previous page  
13          to that usage amount to show what the dollar  
14          increase would be on a monthly basis and the  
15          percentage increase.  And so then I laid  
16          those out in each of the three columns so  
17          that you can see the gray shaded boxes,  
18          obviously, are the dollar amounts for each  
19          month under each of the scenarios.  For the  
20          three largest classes or the general service  
21          classes, G-02, 32 and 62, I actually am  
22          using two different customers for each  
23          class.

24                   The top line is to represent a low

1 load factor customer and the bottom line  
2 represents a high load factor customer. So  
3 what I mean by that is you can see that both  
4 of those customers use the same kilowatt  
5 hours per month, but each one has a  
6 different kW component attached to it. So  
7 the low load factor customer has a higher kW  
8 billing unit than the high load factor  
9 customer does. And that's because that  
10 customer is peakier. His load shape tends  
11 to -- or he uses more at a single point in  
12 time where the high load factor customer  
13 tends to use -- his average use tends to be  
14 more stable over the billing period. Terry  
15 is reminding me that on Slide 19 I actually  
16 included an illustration of just what that  
17 looks like. So you can see the low load  
18 factor customer, his load tends to be, like  
19 I said, peaky during the billing period.

20 The bill impacts or the numbers  
21 presented on Slide 8 is really the same  
22 thing. It's just sort of doing the math of  
23 the impacts that appear on Slide 7. So you  
24 can directly see the energy efficiency

1 charge compared to the CapEx charge and the  
2 impact of that and then the energy  
3 efficiency compared to the ISR. So it's a  
4 different way of presenting the information.

5 So at this point are there any  
6 questions about the specific hypothetical  
7 that I could answer before we move on?

8 MS. WILSON-FRIAS: Jeanne, if we  
9 take a look on Slide 8 at the G-32 customer,  
10 and under energy efficiency, the low load  
11 factor customer has a decrease and the high  
12 load factor customer has an increase. They  
13 use the same amount of kilowatt hours and  
14 energy efficiency is a kilowatt hour charge.  
15 So why is that?

16 MS. LLOYD: It's just compared to  
17 the other mechanism.

18 MS. WILSON-FRIAS: Oh, okay.

19 MS. LLOYD: So if you look on Slide  
20 7, actually, you can see that the increase,  
21 if we implemented the energy efficiency  
22 charge, would be exactly the same for the  
23 high and the low load factor customer on a  
24 dollar amount; the percentage would be

1 different for each one.

2 MS. WILSON-FRIAS: Okay. All  
3 right.

4 MS. LLOYD: If there are no  
5 questions about the specific example, we  
6 thought because, like I said, that was an  
7 exercise of just doing the math and looking  
8 at how each of the allocations or the  
9 pricing methodologies would allocate cost  
10 and then come up with the resulting rate  
11 design without any discussion as to what the  
12 \$10 million was or where it should  
13 appropriately be recovered. So we thought  
14 it might be useful to take a step back or a  
15 step up and talk a little bit more generally  
16 about why we pick various allocations -- or  
17 various pricing methodologies to recover  
18 certain types of costs and look at cost  
19 allocation and classification in a more  
20 general way. So Peter is going to take over  
21 and go through some discussion on that  
22 point.

23 MR. ZSCHOKKE: Good morning,  
24 everyone. I'll be starting on Page 10. I

1           won't -- Janet already mentioned Bonbright's  
2           principles. I think we already talked about  
3           this page. It's really here as a reminder  
4           of what has been fairly standard for many  
5           decades, what regulators try to accomplish  
6           and utilities consider when they make their  
7           filings. What are the different things you  
8           need to consider while you're designing a  
9           rate. It's interesting because you heard an  
10          awful lot of discussion earlier about how  
11          certain rates will not be accepted by some  
12          members of the public and so it's just a  
13          real world example of this is the discussion  
14          we have, as the Commission is aware, every  
15          time we make changes to rates. But these  
16          rate attributes are something that are very  
17          important.

18                        What we tried to do is talk about  
19                        the different rate attributes in the context  
20                        of what Jeanne just showed you so that we  
21                        could talk about it from the perspective of  
22                        how do you want to efficiently recover the  
23                        cost to the utility among customers and how  
24                        do you want to set prices so that customers

1           can see you make good decisions while using  
2           the distribution grid or using the system as  
3           a whole.

4                       So on Page 11, just a reminder on  
5           the allocation of costs, we obviously  
6           classified the costs, demand, energy and  
7           customer and direct assignment. If I recall  
8           correctly, nearly all of the distributed  
9           cost for Narragansett Electric, the  
10          distribution company, are allocated to the  
11          rate classes based upon demand -- the  
12          maximum demands or the number of customers  
13          or a direct assignment. For example, in a  
14          cost of service, an allocated cost of  
15          service, the cost streetlights are directly  
16          assigned to the streetlight class. An  
17          interconnection issue, the cost for the  
18          interconnection is allocated directly to the  
19          customer requesting the interconnection for  
20          a generator or through our contributions in  
21          aid of construction tariffs for customers  
22          who are coming -- who are going to be a load  
23          customer based upon historical precedents.

24                       These obviously create allocation

1 factors that Jeanne has just described to  
2 you, and as you saw on those pages which we  
3 will return to in a few slides, there is a  
4 difference between the energy and the demand  
5 charges and that makes sense. And it all  
6 has to do with load factor and the efficient  
7 use of the system. And then, of course,  
8 those allocation factors are determined, as  
9 Jeanne showed, how much money is collected  
10 for specific types of costs through each  
11 rate class.

12 So I wanted to talk about a couple  
13 of the Bonbright principles. So recovery  
14 and stability of the revenue requirements.  
15 So the rates have to be designed to allow  
16 for adequate opportunity to recover the  
17 revenue requirement and obviously stability  
18 over time both for customers and their  
19 decisions, as was discussed earlier, as well  
20 as for the utility to understand the revenue  
21 flow going forward. And part of that is the  
22 effectiveness of yielding the total revenue  
23 requirement. How effective would we be able  
24 to yield the total revenue requirement,

1           particularly in these changing environments  
2           that we are faced with now.

3                       So the implications, for example,  
4           when I think about recovering capital  
5           investment through the energy efficiency  
6           program, simply put, the energy efficiency  
7           programs have really been something we use  
8           to fund decisions by the customers to be  
9           more efficient in their use of electricity.  
10          So the idea that we would actually fund  
11          company investments through that raises an  
12          interesting question on the use of those  
13          funds to start with. But also, when I think  
14          about it, you're going to fund a capital  
15          investment and then some questions come up  
16          which is how are you going to pay for the  
17          ongoing O&M costs associated with that  
18          investment? If you fund it upfront through  
19          EE, there's nothing in rates that provides  
20          any revenue that would, No. 1, obviously  
21          amortize the investment but also provide  
22          additional revenues so you have monies  
23          available for additional O&M that comes on,  
24          all equipment that comes on the system,

1 including the investment made, but also what  
2 about replacement? So when you go to  
3 replace it, whether it's after a storm,  
4 there's damage or it's no longer operating  
5 effectively or it's been damaged and has to  
6 be replaced in order to provide reliable  
7 service, when you replace it, there's no  
8 revenue in the company's revenue stream from  
9 customers that help with the cost of that  
10 replacement. So that replacement comes as a  
11 direct additional cost which may or may not  
12 contribute to the need for further increases  
13 in rates by the utility.

14 So there's the use of energy  
15 efficiency funds to directly pay for  
16 something like volt/VAR optimization which  
17 are what some people in the industry suggest  
18 creates other issues, and those issues are  
19 going forward for the utility. We have some  
20 of those issues with, obviously, the costs  
21 that we've recovered through CIAC payments  
22 or interconnection payments. We don't have  
23 any ongoing revenue that actually stabilizes  
24 the company's revenue requirement and need

1 for operational and investment cash to  
2 maintain the grid going forward in system.

3 MS. WILSON-FRIAS: So Peter, so  
4 what -- since you brought up volt/VAR --

5 MR. ZSCHOKKE: Volt/VAR more than  
6 --

7 MS. WILSON-FRIAS: And it's come  
8 up. So what if you funded -- what if you  
9 funded the capital through, say, an ISR, but  
10 then there's ongoing O&M expenses, and let's  
11 assume they can pass the total resource cost  
12 test, whatever benefits are found to accrue  
13 from -- as a result of volt/VAR, would that  
14 be -- do you think that might be an  
15 appropriate recovery mechanism through the  
16 energy efficiency in that specific instance?

17 MR. ZSCHOKKE: I would say that  
18 comes down to the efficiency of rate cases  
19 and -- because once you get into the O&M  
20 side, you've got specific charges and other  
21 things are happening and then the company  
22 has got to strip out these small elements of  
23 costs that are funded through EE or through  
24 general rates, so it becomes a question of

1 the efficiency of the rate cases. And  
2 again, it also becomes a question what are  
3 you using the EE funds for? What's its  
4 purpose? People need to keep in mind --  
5 everybody jumps on the idea that volt/VAR  
6 will help manage voltage on the system, and  
7 therefore, possibly reduce customers' usage  
8 by lowering the voltage, and that can  
9 happen.

10 The -- but really, when the  
11 engineers talk about it, when I go to talk  
12 to the company that we're working with down  
13 the street here -- actually, up the street  
14 because it's in Providence, they talk about  
15 the efficiency -- efficient operation of the  
16 elements of the grid that we've built. So  
17 by managing the voltage more actively,  
18 they're able to lower, for example, the  
19 operations of other pieces of equipment on  
20 the system. So -- because they have a  
21 better vision of what's happening on the  
22 grid and they can manage it much better.  
23 Lowering the number of operations increases  
24 the life of the units and reduces any damage

1           that may happen from any operations that may  
2           occur because there's too much voltage or  
3           too small voltage. Because really, when  
4           engineers look at -- and I'm not an  
5           engineer, but I've hung around with a lot  
6           throughout my career, the number of events  
7           contribute to the life of -- or lowering the  
8           life of the assets in service. The more  
9           events they have to deal with in terms of  
10          things that happen on the system, the  
11          greater the chance you're going to lower the  
12          length of time you can keep that unit in  
13          service. So by minimizing the operational  
14          events on the system, you are actually  
15          contributing to the greater value of the  
16          assets in service and a longer life span  
17          that you can have. So there's more than  
18          simply managing the voltage that goes on.  
19          There's a lot of operational benefits that  
20          occur as well.

21                       MS. WILSON-FRIAS: But if the goal  
22                       is to look at all programs and state  
23                       policies as a whole, system reliability and  
24                       least cost procurement and energy efficiency

1           are not all just one -- like, it's not like  
2           a tree with five branches. They're all  
3           supposed to work together, and in fact, I  
4           believe it's least cost procurement  
5           references the standard offer statute. So I  
6           guess at the very beginning when we started  
7           these considerations the issue was how do we  
8           look at everything together. And so where  
9           there is a piece that something might  
10          contribute, because when you do research on  
11          volt/VAR, you see that there's -- a lot of  
12          the companies that offer this and other  
13          Public Utility Commissions have used this as  
14          an energy efficiency mechanism and it's  
15          advertised as such. So I guess it's sort of  
16          the most obvious thing that is out there  
17          right now that you're doing that seems like  
18          it spans several different arenas and all of  
19          those pieces. So that's kind of why I keep  
20          asking question over and over again.

21                   MR. ZSCHOKKE: Well, you can  
22          certainly fund it through the energy  
23          efficiency fund. The question is what is  
24          the goal of the energy efficiency funds? So

1           that's the real debate that has to happen.  
2           But you have to keep in mind what's the  
3           ongoing run the business costs for it if  
4           you're going to fund it that way. And then  
5           the other element is replacement costs. So  
6           -- and that's a debate -- unlike energy  
7           efficiency where if you pay somebody a  
8           rebate for a refrigerator and then you go on  
9           to the next refrigerator, the -- this will  
10          have ongoing costs, so that will take up a  
11          bigger chunk of the budget every year as you  
12          do more and more of the volt/VAR.

13                        So that's something that has to be  
14          considered because the energy efficiency  
15          funds are simply another source of funds  
16          from customers to pay for the cost of the  
17          utility if you want to look at it that way.  
18          And that's going to have, obviously, an  
19          interesting debate at the EERMC when they  
20          discuss it, using it, but you certainly  
21          could consider it. You just have to  
22          understand what the effects are going to be  
23          long term to the use of the energy  
24          efficiency funds that are collected from

1 customers in Rhode Island.

2 MS. WILSON-FRIAS: So should the  
3 different programs, like energy efficiency  
4 program or system reliability, should all of  
5 these things be looking at what's in other  
6 parts of the rates or other programs or  
7 other cost recovery factors, for example?  
8 So let's say you leave volt/VAR where it is  
9 and you don't do anything in energy  
10 efficiency, but it does have an energy  
11 efficiency benefit. Should the cost and the  
12 benefit related to volt/VAR outside of  
13 energy efficiency be worked into the energy  
14 efficiency analysis at all, or vice versa  
15 when -- if the goal is to look at how all  
16 policies are working in all rates and  
17 programs?

18 MR. ZSCHOKKE: You can certainly  
19 consider volt/VAR in conjunction with all of  
20 the other energy efficiency elements,  
21 programs that are going on and evaluate  
22 what's the best way to manage them all  
23 together. There is a difference with,  
24 obviously, the example that we presented,

1           how energy efficiency is applied across rate  
2           classes versus how we build our system. So  
3           volt/VAR does provide energy efficiency  
4           benefits, but we build our system to meet  
5           MVA peaks, really, and we manage that system  
6           in order to reduce events that may cause  
7           problems. So the question is are you going  
8           to allocate the specific costs differently  
9           through the energy efficiency factor than  
10          you would any other energy efficiency costs,  
11          or how are you going to reflect the system  
12          efficiency element which is we want  
13          customers to understand that the maximum  
14          demand is what's planned for on the  
15          distribution feeders and substations and how  
16          do we factor that into pricing going  
17          forward?

18                    You heard earlier from Mark I think  
19                    about demand charges. I know battery  
20                    manufacturers want demand charges because --  
21                    and we think demand charges are the correct  
22                    way to go if you're pricing on size for all  
23                    customers. It's a question of whether or  
24                    not we want to spend the money on the meters

1           because that really teaches -- it makes  
2           customers focus on really what they are  
3           causing on the system. Their maximum demand  
4           makes the system require more capacity. You  
5           probably have heard at ISO New England  
6           presentations or seen on the website, the  
7           load factor, i.e., the ratio of average  
8           usage versus the maximum usage in New  
9           England have been falling for a long time  
10          which means we're putting in a lot of  
11          capacity to serve fewer and fewer kilowatt  
12          hours. So we have a struggle right now in  
13          New England to make the system more  
14          efficient, and partly that's because we are  
15          pricing a lot of the bill on energy and  
16          customers aren't seeing that signal to  
17          manage their demand in such a way that it is  
18          more efficient for what is necessary to  
19          build the system, which should be a focus, I  
20          think, for the future if you want the system  
21          to be as efficient as possible.

22                   MS. WILSON-FRIAS: But I mean,  
23           energy efficiency programs are funded  
24           through the demand side management charge.

1           So I mean -- is part of the energy  
2           efficiency supposed to be to address demand?

3                   MR. ZSCHOKKE:   Yes.   That would be  
4           a second reference to Back to the Future,  
5           because that's how they started.

6                   MS. WILSON-FRIAS:   And to try to  
7           address that peaking issue through those  
8           programs as well.

9                   MR. ZSCHOKKE:   We would encourage  
10          that, yes.

11                   MR. NEWBERGER:   We have goals.  
12          This year the company's goals for energy  
13          efficiency include a demand component, so  
14          not just energy -- this is the first year  
15          in -- at least in my memory, that we've  
16          adopted a kW goal as well as a kWh goal.

17                   MR. BIANCO:   But just to -- and  
18          we've talked about -- I've talked to  
19          probably a lot of you about this, but the  
20          charge itself, right, the Commission's  
21          ability to indicate to ratepayers perhaps  
22          rates that might incentivize or put a  
23          greater cost on behavior, isn't cost  
24          allocation and how we charge rates and we

1 don't have a demand charge for energy  
2 efficiency. It's a per kilowatt hour,  
3 right? So someone who is efficiently  
4 lowering their demand but has no demand  
5 charge and does not pay an energy efficiency  
6 portion in demand really would not have any  
7 benefit to any of the -- anything they might  
8 do to lower their demand, and that describes  
9 residential ratepayers, right? They pay per  
10 kilowatt hour on both distribution and  
11 energy rates and they pay per kilowatt hour  
12 on energy efficiency, so they know nothing  
13 of demand, for example.

14 And if you were a renewable energy  
15 customer, one might say, yeah, we should --  
16 we want you to point your solar panels west  
17 and we'll give you an extra incentive to do  
18 that, but you might also just have a demand  
19 charge such that those customers would  
20 naturally have reason to point their solar  
21 panels west because that's when they would  
22 have the opportunity to lower their demand  
23 cost. So while you have an incentive to  
24 meet demand goals, there's nothing for

1 ratepayers, particularly residential, to  
2 meet demand.

3 MR. NEWBERGER: There are several  
4 technologies that -- for which energy  
5 efficiency incentives are offered that have  
6 different load profiles. We offer  
7 incentives for high efficiency air  
8 conditioning. So we know that, that  
9 customers who would accept and adopt those  
10 technologies will be reducing, will have a  
11 greater impact on demand savings than they  
12 will -- for somebody who -- compared to  
13 somebody who adopts a different technology.  
14 So we use the mechanisms that we have  
15 available to us for offering incentives to  
16 drive customers to technologies that work  
17 for them, but also provide both energy and  
18 demand savings.

19 MR. BIANCO: But as an individual  
20 ratepayer -- I want to just see if you  
21 agree. If I were putting a solar panel on  
22 my roof or getting technology in my house to  
23 reduce my energy, as a residential  
24 ratepayer, total kilowatt hours is all I

1 care about. I personally in my house  
2 receive no benefit for anything demand.  
3 Now, there's a benefit that accrues to me  
4 that I'll never notice on my bill perhaps,  
5 that accrues to all ratepayers like a  
6 decrease in distribution costs, things like  
7 that, but when I said, "Hey, I did this  
8 installation," or, "I got an efficient  
9 refrigerator. I have south facing versus  
10 west facing solar panels," that's all energy  
11 for me because that's all my bill is charged  
12 on.

13 MR. NEWBERGER: That's correct.

14 MR. ZSCHOKKE: And if you actually  
15 turn to Page 14 which is a repeat of a slide  
16 Jeanne spoke about, so when you go to the  
17 Narragansett Electric cost of service, you  
18 look at distribution costs, you'll see that  
19 demand allocation, residential gets 53  
20 percent of the costs but they're only 41  
21 percent of the kilowatt hours delivered.  
22 What that means is we now need to charge  
23 them a higher per kilowatt hour cost to  
24 reflect -- to collect the demand portion of

1 the bill, which means the cost per kilowatt  
2 hour is higher so there's more incentive to  
3 actually save on those kilowatt hours and  
4 we're not reflecting that high use of the  
5 demand system which is where we want to save  
6 the money. And that's one of the -- a  
7 number of Bonbright's principles factor into  
8 that. How do you encourage the right -- how  
9 do you encourage the right decisions on the  
10 part of the customers to make the system  
11 most efficient? How do you create rate  
12 design that yields revenue for the company  
13 and makes the system more efficient,  
14 therefore, the company has to spend less  
15 money? And that is something that has been  
16 standard in the industry using demand based  
17 rates to encourage customers, and Tim and I  
18 both know, Tim more than I, that back in our  
19 demand rate days, customers made a lot of  
20 decisions based upon the demand rates we  
21 charged and those who had them, they worked  
22 to save money on those. They really took  
23 focus on that stuff. And in the advent of  
24 solar and battery storage and electric

1 vehicles and more and more central air  
2 conditioning coming on the grid, managing  
3 those demands is really key to getting the  
4 most efficient systems you can get.

5 MR. BIANCO: I agree. It seems  
6 that you reach a limit. At some point an  
7 individual user has a certain amount of  
8 energy they need to use in a month and  
9 there's no -- I mean, further efficiency  
10 gains is just austerity, whereas, there's a  
11 lot of room in demand and when I make these  
12 choices that the current system doesn't  
13 really allow for those benefits to move back  
14 and forth.

15 MR. ZSCHOKKE: I was at a  
16 conference yesterday and the person who --  
17 was talking about Texas, but Texas has a  
18 benefit that we don't have in New England  
19 which is -- well, we have a benefit Texas  
20 doesn't have. Let me put it that way. We  
21 have four seasons, right? So I had  
22 neighbors who came to Massachusetts from  
23 Texas and they love their electric bill  
24 because their electric bill is \$1,000 less

1           than what they paid in Texas because they're  
2           all electric heat, they're all electric air  
3           conditioning and they're using it every  
4           single month of the year.  Granted, they  
5           have a heating bill, but they were just  
6           loving their electric bill and they thought  
7           they had found lots of money.  And most  
8           people don't understand that when you talk  
9           about cost per kilowatt hour, the load  
10          factor, the efficient use of the system, oh,  
11          if I had 10 to 12 months of air conditioning  
12          or electric heat, you know, going  
13          constantly, that contributes to a pretty  
14          high load factor.  So -- which contributes  
15          to lower cost per kilowatt hour for  
16          generally a fixed cost system.  And that's  
17          why, although people don't like to use the  
18          term Arizona, but Arizona and New Mexico  
19          have both contemplated and used demand  
20          charges for their residential customers  
21          because of the massive amount of air  
22          conditioning that is required to live there.  
23          They've actually implemented those for years  
24          because they want customers to manage their

1 demands in such a way that they're using it  
2 off-peak, they're pre-cooling, they're being  
3 as efficient as possible because of the  
4 needs of building out the grid. So those  
5 are stated mechanisms.

6 The real question up here,  
7 obviously, is the cost of the metrology to,  
8 obviously, implement that. It's very  
9 expensive to implement either AMR meters or  
10 demand based meters on an AMR basis, more  
11 expensive than it would be just to use an  
12 energy year. And the question is what would  
13 be that value to do so going forward is one  
14 we can obviously study. Obviously, our  
15 proposal that we talked about here before is  
16 what Janet mentioned earlier is a tiered  
17 customer charge to reflect the size of the  
18 customers on the -- that are on the energy  
19 only rate so that you can kind of work into  
20 a demand charge going forward, but also  
21 fairly allocate the cost of the distribution  
22 grid. Those who are bigger should pay more  
23 than those who are small.

24 So let me just return to Slide 13

1           which just goes through fairness and equity.  
2           We talked a lot about that, and that's  
3           really the primary cost drivers. We work  
4           through the cost of service and the  
5           allocated cost of service to really reflect  
6           who -- what classes are responsible for the  
7           costs and should be paying for those costs  
8           in a fair and equitable manner as determined  
9           by the Commission based upon the evidence in  
10          the case.

11                       And of course, no undue  
12          discrimination. We really don't want to  
13          treat somebody with solar different from  
14          somebody who doesn't have solar. The  
15          reality is if you have a certain size  
16          facility, you have a certain capability of  
17          using the grid either by delivering solar  
18          back out to the grid -- generation back out  
19          to the grid or by consuming within the grid,  
20          and that's what the system is going to have  
21          to contemplate building going forward.

22                       I spoke about Slide 14. So I'll  
23          move to efficiency and rate attributes. So  
24          again, we talked about rates needing to be

1           designed to yield total revenue  
2           requirements. Price signals. I've inferred  
3           it, but obviously, we talked about we want  
4           the prices to reflect the marginal costs --  
5           the incremental costs to serve the  
6           customers. We want to pay customers for the  
7           value for that incremental cost if they're  
8           providing the service to us. And we should  
9           be moving forward as a state considering how  
10          we advance rate design to create these  
11          efficiencies and to create these signals  
12          such that customers can make good decisions  
13          that help them manage their loads in such a  
14          way that we can improve the load factor of  
15          the system and lower overall costs to  
16          customers.

17                   At the same time we have to be  
18          mindful that they have to be simple and easy  
19          to understand. One of the fundamentals of  
20          Bonbright's principles, the question is how  
21          far do you go? How soon and what technology  
22          do you have available to allow you to go  
23          that far? And then what's the process for  
24          getting customer acceptance of those rates?

1           How do you educate customers? How do you  
2           talk to customers? How do you explain why  
3           it's more appropriate to do this? And  
4           really, I always look at it as explaining to  
5           them what's the opportunity for them?  
6           What's the value for them? If they can save  
7           on their demand, they manage their demand to  
8           keep it as flat as possible, they win,  
9           right?

10                   I'm going to be talking to an EV  
11           charging company tomorrow and they happen to  
12           not like demand rates, but they don't like  
13           demand rates because right now they have  
14           very few cars charging at their stations,  
15           but when they get a lot of cars charging and  
16           they're being paid, charged an energy rate,  
17           they're not going to like it because once  
18           they establish their peak demand, every  
19           charge is free from a distribution  
20           perspective. But if I'm charging them on an  
21           energy basis, everybody who charges is a  
22           cost. So we'll have an interesting  
23           discussion.

24                   The other issue is gradualism. I

1 mean, simple and easy to understand and  
2 gradualism are important concepts because  
3 what it means is it's hard to change rates.  
4 It takes a lot of work through the  
5 regulatory process because once a rate is  
6 established, nobody wants to give it up  
7 because they figured out an advantage to it.  
8 So when you change it you have to figure out  
9 how you can change it in such a way that  
10 customers still see some of their value or  
11 see a better value and can come to the table  
12 and accept the change. That's a real --  
13 that will be something that -- that's  
14 something that all Commissions and this  
15 Commission struggles with every time there's  
16 a rate case or some rate increase that  
17 happens to customers.

18 We just put back in the -- this is  
19 the same chart, but just looking at energy  
20 versus demand versus customer. The impacts  
21 that customers would have on their bills for  
22 the same \$10 million cost and Jeanne showed  
23 you how she came up with the factors, and so  
24 you can see what the difference is. If I go

1 to a customer allocation, the large  
2 customers see very little impact. But the  
3 small customers see a really big impact, and  
4 you heard Mark discussing that same issue  
5 today. Whereas, if I go to an energy, you  
6 see the impacts you saw earlier or a demand,  
7 again, you see the same impacts, but you'll  
8 notice that the demand impact is -- has, I  
9 would say, a more narrower band relative --  
10 of percentage changes than the other ones  
11 with the exception of the high load factor  
12 customer for the G-62 and also the high load  
13 factor for G-32. But that makes sense. If  
14 you're a high load factor customer and you  
15 use -- and what we're concerned about is  
16 what your maximum is on the system, you  
17 should get that benefit because you've  
18 managed your demand, you flattened your load  
19 curve as much as possible. I don't think we  
20 have any air separation plants in New  
21 England anymore, do we?

22 MR. ROUGHAN: No.

23 MR. ZSCHOKKE: So when we went to  
24 restructuring we went to a lot of energy

1 charges, and air separation plants actually  
2 have a 95 percent load factor, but they're  
3 also very mobile. There's only a couple of  
4 employees in the plant and they -- their  
5 facilities can be moved and they've all  
6 moved out of New England because -- and they  
7 serve hospitals. They provide the air --  
8 components of the air at the hospitals. And  
9 they moved out because they want the demand  
10 charge, right? So battery storage companies  
11 want the demand charge. Because somebody  
12 with solar on their roof from behind the  
13 meter is not going to buy batteries if  
14 they're focussed on energy because there's  
15 no -- in some months some our customers  
16 eliminate all their energy use. There's no  
17 consideration of what they use in the  
18 system. Whereas if there's a demand charge,  
19 well, now the battery storage manufacturer  
20 now says, "Well, I have a business model  
21 that can work," because now a customer has  
22 an impact from their size on the system.

23 So we've had actually battery  
24 storage manufacturers, inventors actually

1 file comments in Massachusetts at least on  
2 the grid mod saying, please give us a demand  
3 charge because it will help our business  
4 model. From our perspective, that helps  
5 manage the system. It provides a value that  
6 Mark and Abigail were talking about and  
7 Janet were talking about to the grid by  
8 allowing us to manage generation output on  
9 the grid level with battery storage so that  
10 people can flatten their load curve or  
11 create benefits at the time when we need the  
12 loads to fall on the system by having that  
13 run through capability with the battery  
14 storage.

15 MR. BIANCO: So they imagine  
16 similar benefits -- could they achieve the  
17 same type of -- the business model may be a  
18 little bit different, but could you achieve  
19 the same value in battery storage with just  
20 time varying rates on a kilowatt hour  
21 collections and payments, but just totally  
22 time varying rather than going through the  
23 trouble? So you still need new metering,  
24 but perhaps a different type of meter.

1           MR. ZSCHOKKE: Well, it depends on  
2           how the time varying rate is designed. If  
3           there's not much delta, no. But the problem  
4           we have in New England is we don't have a  
5           market that allows you to do time varying  
6           rates really well because the forward  
7           capacity market is based -- you charge based  
8           upon your peak demand at the time of peak  
9           last year, the 12 months, and so it's not a  
10          realtime market for capacity and that's  
11          really the driver for battery storage. How  
12          do you -- you want that demand charge to be  
13          incurred at the time you need it.

14                 So for our smart energy solutions  
15          pilot in Massachusetts we have a -- I don't  
16          know 55, \$.65 per kilowatt hour peak charge  
17          for 175 hours in the summertime. It will be  
18          interesting what happens this summer when we  
19          first start charging customers those prices.  
20          But theoretically, that would work, however,  
21          we're collecting all those -- we're breaking  
22          down the basic service price which we get on  
23          a monthly basis or a periodic basis as a  
24          flat price for all kilowatt hours sold under

1           basic service and putting a lot of that  
2           value into these few hours. And the problem  
3           from a regulatory perspective is the inner  
4           temporal covering the cost. So I'll be  
5           paying \$.10 a kilowatt hour for service in  
6           the first six months of the year, but I'm  
7           going to be charging customers on smart  
8           energy solutions less than that because I've  
9           bundled all this money into the 175 hours,  
10          primarily because the wholesale market  
11          doesn't work that way. Even though that's  
12          what the FCM is trying to show. And so  
13          there's obviously this issue with how do you  
14          promote those types of rates when the  
15          wholesale market isn't necessarily  
16          convenient to cost recovery mechanisms that  
17          are coincident with when the costs are  
18          incurred. Something I'm worried about this  
19          summer, but we'll have a great example after  
20          the summer.

21                   MR. BIANCO: Is any of that program  
22          part of a -- I'm just wondering, did you bid  
23          in for demand response, active demand  
24          response? Is any of the money recovered in

1 the FCM through demand response as a  
2 capacity, an asset?

3 MR. ZSCHOKKE: So smart energy  
4 solutions is a pilot, so we haven't called  
5 the prices yet. We will this summer when  
6 we're finally up and ready. We've done some  
7 demand bidding before, but I'm not familiar  
8 with it. Tim is more familiar than I am.

9 MR. ROUGHAN: Well, we've got the  
10 efficiency that Jeramy's team bids in every  
11 year that flows back, those values flow back  
12 to customers and help fund those efficiency  
13 programs, but because of -- the pilot is so  
14 short in Massachusetts and the challenge is  
15 when you bid in capacity in auction in the  
16 winter of a particular year, the capacity  
17 isn't required to be delivered for three  
18 more years, so when you've only got a  
19 two-or-three-year pilot, you bid in five  
20 kilowatts but then you can't deliver it  
21 until year three, so that's why we didn't in  
22 that particular case. But for the solar  
23 projects that we own in Massachusetts, we  
24 did put those into the capacity market and

1 we do get some revenues for those to help  
2 offset those costs to customers.

3 MR. ZSCHOKKE: I think the other  
4 issue why we wouldn't bid in is we want to  
5 see how customers will respond and how much  
6 we're going to get. A minor issue, but an  
7 important one. That's all I have. So any  
8 questions?

9 MR. ELMER: I don't want to go too  
10 far afield here, but under the re-design of  
11 the auction with the pay per performance,  
12 how do you account for when you're only  
13 looking at 175 hours in the year? If you  
14 acquire a CSO after the auction --

15 MR. ROUGHAN: We didn't acquire it.

16 MR. ELMER: Thank you.

17 MR. ZSCHOKKE: We need to see if  
18 the 175 hours works with the -- we actually  
19 have a lot of customers still on the smart  
20 rewards pricing which is the pricing  
21 element, but it's an opt out program, that's  
22 why they're on it. So we're going to learn  
23 a lot over the next two years and we can  
24 have a better discussion in two years.

1           MR. BIANCO: I did have one about  
2 costs and benefits. If there was a  
3 reduction in demand, it's not like you go  
4 out and say let me get a lower rated wire  
5 now because that guy's demand went down.  
6 You leave that wire in place. There's a  
7 delay in time before benefits, maybe not in  
8 O&M, but there's a delay in time, in capital  
9 investments, for example, right, similar to  
10 how energy efficiency works? Some of the  
11 benefits will accrue over 10 or 15 years.  
12 So you have to -- I guess I wanted to  
13 understand a little bit about that. How do  
14 the benefits of, say, volt/VAR accrue? It's  
15 not right away, or do you have a method --  
16 is there a method of figuring out over time  
17 how it accrues?

18           MR. ZSCHOKKE: Well, volt/VAR  
19 has --

20           MR. BIANCO: As an example.

21           MR. ZSCHOKKE: Volt/VAR could have  
22 an immediate benefit. It depends on where  
23 you set the voltage. Energy efficiency for  
24 some or all customers on the feeder,

1           depending upon what level of voltage you set  
2           it at and what circumstances were before.  
3           So that can be immediate. The demand  
4           elements -- so just for the record, all  
5           utilities work on standards so they can buy  
6           equipment efficiently. So we're moving from  
7           four kV service feeders to 13v kV because  
8           you can handle more load, you can have more  
9           flexibility and you can handle more DG on  
10          the system. And so we're not going to go  
11          from a 13 kV line to 11.5, right? That's  
12          not going to happen.

13                       However, every line -- engineers  
14          like to have a little bit of flexibility so  
15          that when they're going through their  
16          planning studies, if the lines are  
17          interconnected such that they can make them  
18          interconnected, they can actually -- instead  
19          of investing in new feeders to serve  
20          customers that are lightly loaded, they can  
21          actually move load around by reconfiguring  
22          where the starts and stops are on the  
23          different lines. I'll call them that in my  
24          non-engineering way. But they'll actually

1           have an ability to balance either in  
2           emergency conditions or when they're  
3           thinking of what's the least cost way to  
4           actually serve the load that's coming  
5           forward, they can actually think about  
6           moving loads among different feeders in a  
7           way to address those new loads. So having  
8           additional capacity provides them an ability  
9           to provide lower cost service over time by  
10          being able to shift loads for a given level  
11          of capacity in the system. Eventually,  
12          though, if load does grow or demand does  
13          grow, you eventually have an issue where  
14          you'll have to invest or if there's a  
15          contingency issue they're trying to address,  
16          that's another reason for investment.

17                   MR. BIANCO: With energy  
18           efficiency, though, a light bulb, that light  
19           bulb is able to save a certain amount of  
20           energy and then the assumption would be that  
21           it does every year even though you have to  
22           factor in customers' use, that that customer  
23           just might have stopped using that room with  
24           that light bulb. And actually, so that

1 energy isn't saved. The ten kilowatt hours  
2 a year that they might have used and now  
3 they're saving five but maybe they don't use  
4 that room anymore, so they really didn't  
5 save that five.

6 What I'm wondering is -- do you  
7 have to create a baseline projection of  
8 what the grid would require a number of  
9 years out to get an understanding of what  
10 the benefits are of demand reduction?

11 MR. ZSCHOKKE: Well, energy  
12 efficiency is like salt. This is one of our  
13 planning examples. If you sprinkle it all  
14 around the system and over time you created  
15 all these benefits from having salt  
16 sprinkled all over the system. And kind of  
17 built into the planning process because we  
18 assume -- it's reflected in the load growth  
19 we see because homes are more efficient  
20 today than they were in 1990, the appliances  
21 available are more efficient when you build  
22 a new home, when you buy a new home and you  
23 put in new appliances. So it's really built  
24 into the planning process based upon how we

1           have addressed energy efficiency over time.  
2           So those are words straight from one of our  
3           smartest distribution engineers. And that  
4           works and has worked to save money on the  
5           distribution investment system. What we're  
6           trying in Tiverton, which we'll talk about  
7           after lunch, is, obviously, really focussing  
8           in on energy efficiency and specific  
9           technologies to see if we can address a  
10          specific area. And -- which is a different  
11          concept than the salt concept, sprinkling it  
12          all over the place. And so those are kind  
13          of two elements.

14                 So we've had the benefits. They  
15          are built into the planning process through  
16          the load demand forecast and the impact that  
17          energy efficiency has had on the load demand  
18          including the fact that some customers put  
19          in a light bulb and maybe they're not using  
20          the light bulb right now because that's all  
21          part of the usage, part of the forecast, so  
22          it's all built into that.

23                 MR. ROUGHAN: Maybe, Todd, to your  
24          point, a demand charge construct would

1 provide the same sprinkling of the salt all  
2 over. So just like efficiency. When that  
3 light bulb goes in there that he saves ten  
4 kilowatt hours, it's also a 13 watt bulb,  
5 not a 60 watt bulb, so it's a reduction of  
6 47 watts. It's a peak load reduction. So  
7 that's a key component of efficiency. But  
8 similar to salt being sprinkled around,  
9 demand charges would have the same effect,  
10 and over time, that's where the benefits  
11 would accrue.

12 MR. ELMER: Just to acknowledge  
13 that -- I may not be smart enough to  
14 understand the salt metaphor, but there is a  
15 distinction or a possible distinction at the  
16 ISO system level where the ISO's accounting  
17 for energy efficiency generally gets  
18 accounted for and is embedded in their  
19 forward looking ten-year load forecast. On  
20 the DG side there is at least a nascent  
21 controversy as to the extent to which DG  
22 does or does not get accounted for as being  
23 already embedded in the load in the forward  
24 looking forecast. So that in this

1 proceeding here where we're talking about  
2 the effect of distributed generation on the  
3 system and appropriate compensation for the  
4 distribution utility, the analogy with  
5 energy efficiency may not be fully  
6 applicable. Energy efficiency gets embedded  
7 in load forecasts in a more comprehensive  
8 way than DG gets embedded in the ISO's load  
9 forecasts. It's just a distinction that's  
10 worth keeping in mind.

11 MR. ROUGHAN: Well, I think there  
12 is no question there is a difference,  
13 however, most of the load forecasts the ISO  
14 is also doing comes from our transmission  
15 planning folks and every utility's  
16 transmission planning groups. And if, just  
17 like efficiency, the peaks loads in the area  
18 are growing slower over time and that see  
19 the meter data, that's incorporated into ISO  
20 load forecast. And they do also include the  
21 future forecasts of what folks predict for  
22 efficiency, you're correct, but there is  
23 going to be some of that that will also  
24 occur from DG as the peak loads are modified

1           because DG is running at peak, but not to  
2           the extent of efficiency, I will grant you  
3           that.

4                   MR. ELMER:   And that's an important  
5           distinction because 80 percent of it -- if  
6           it's \$1.1 billion now being spent in the six  
7           ISO states on energy efficiency and 80  
8           percent of that cleared in the forward  
9           capacity auction, whereas much of the DG is  
10          not reflected -- it doesn't play in the  
11          auction, it doesn't clear in the auction and  
12          it's not embedded in the load forecasts that  
13          are done.   And I'm just acknowledging that  
14          that's a distinction between the energy  
15          efficiency side and the DG side that may be  
16          worth keeping in mind as we think about a  
17          revenue neutral rate design proceeding.

18                   MR. ZSCHOKKE:   So something we want  
19          to analyze in our smart energy solutions  
20          pilot is what does demand reduction mean?  
21          What is the value you get?   Because I've  
22          seen the load duration curves.   I've seen  
23          the peak load curves.   I understand what's  
24          happening on the system at the ISO on the

1 peak days.

2 Traditionally, if you go back to  
3 the '80s, people say, and I think I  
4 mentioned this before, loads in the summer  
5 were very spiky in New England. Now they're  
6 just a big hump. So one of the things we  
7 want to analyze is if you get a megawatt of  
8 demand reduction or whatever, is it really a  
9 megawatt or is it less than a megawatt  
10 because you actually have done something  
11 somewhere else on the system or at some  
12 other time that is contributing. And I  
13 think that may -- with energy efficiency  
14 there's obviously a lot more history that we  
15 have in terms -- because we've been doing  
16 the programs for 25 plus years. So there's  
17 an awful lot of history that the ISO can  
18 rely on and be more certain of. I think  
19 there's going to be an issue with demand  
20 response and with distributed generation  
21 just understanding what is contributing to  
22 the actual peak that I have to plan for.  
23 Because of the, A, the load shape of the  
24 generation output, particularly the solar,

1 but also the impact of what may possibly be  
2 clouds.

3 MR. ELMER: Not to put too fine a  
4 point on it, Peter, it's not going to be an  
5 issue, it is an issue now because on January  
6 2nd FERC issued an order directing the ISO  
7 to use its -- at least some components of  
8 its DG forecast in calculating its installed  
9 capacity requirement for FCA 10, and the  
10 manner in which the ISO is or is not doing  
11 that is subject to some controversy now.

12 MR. NEWBERGER: Just to your point,  
13 not commenting on the recent FERC order, but  
14 even before, if there is DG that appears  
15 that the ISO did not include in its  
16 forecast, there is a lag. They eventually  
17 do catch up with it because of the forward  
18 capacity market. They'll catch up with it  
19 in three or four years.

20 MR. ELMER: Of course.

21 MR. NEWBERGER: So there are  
22 already mechanisms -- though there is a lag,  
23 there are already mechanisms in place for  
24 how they do account for DG in their load

1 forecast and in the ICR calculation.

2 MR. ELMER: Yeah, it's eventually  
3 reflected in load, but the issue is that the  
4 FCM is based on a future -- three-year  
5 future looking load forecast. Inevitably,  
6 it all gets reflected in load, but the  
7 auction is a forward auction and that's the  
8 etiology of the controversy.

9 MR. NEWBERGER: And even when the  
10 DG is installed, it's not just for that one  
11 year, it is -- it will be there for a long  
12 time. So sometimes we look at it and say  
13 it's missing out on the first three years of  
14 properly reflecting the value, but over the  
15 full life of it, there's a lot of value that  
16 is properly captured.

17 MR. ZSCHOKKE: And I do want to  
18 compare and contrast what the ISO worries  
19 about versus what our distribution engineers  
20 worry about because their issue is you're  
21 putting voltage into a system that never  
22 received voltage except from the  
23 substations, right? So their issue is I'm  
24 now going to get voltage from all these

1 different points on the grid. How do I  
2 manage it and manage voltage to other  
3 customers so that they have service that's  
4 reliable, safe and doesn't damage their  
5 homes and businesses? So that's their real  
6 issue. That's why you heard some statements  
7 from Janet earlier about limitations on the  
8 amount that a feeder can take because  
9 they've never had to do that before, so it's  
10 a big issue for them. And it's a big issue  
11 for the industry in terms of well, how do  
12 you engage solar? How do you bring it in?  
13 How do you use solar to benefit the grid,  
14 but actually how do you manage it? What are  
15 you going to need to build? It's a very  
16 interesting question for the engineers. And  
17 I specifically use the term voltage because  
18 I read a lot of sanction papers from the  
19 engineers. The only time they talk about  
20 megawatt hours is when they talk about the  
21 number of hours of outage that may be  
22 occurring because we lost a transformer or  
23 something. They really talk about MVA and  
24 that's how they build the system and plan

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

the system.

COMMISSIONER DeSIMONE: It looks like now is a good time for the break and we'll be back in what, 45 minutes? Everybody is that good?

MS. GOLD: 1:15.

COMMISSIONER DeSIMONE: 1:15.

(LUNCHEON RECESS)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

AFTERNOON SESSION

JUNE 14, 2015

1:30 P.M.

THE CHAIRPERSON: Okay. Are we ready to get underway?

MS. WILSON-FRIAS: Yes, Chairperson. I think we're on to National Grid's demand link pilot update presentation.

MR. ROUGHAN: Good afternoon, everyone. I hope everyone had a good lunch. We did. So we're going to go through the system reliability procurement plan update which really is our demand link pilot and get into those details in a second here, but hopefully everyone has their presentation. If you don't, maybe we've got an extra or two. Okay.

So jump into the first one, just some basics here. A lot of this a number of the folks in the room have seen already, so I might go a little fast, but can always respond to questions. So non-wires alternatives. The first slide really is

1           leveraging customer-side resources to try to  
2           maximize the efficiency of the distribution  
3           delivery system and/or transmission delivery  
4           system depending on how extensive that is.  
5           With the kind of monies our customers are  
6           paying for energy efficiency, subsidies for  
7           DG and all the rest of it, it only makes  
8           sense to try to leverage some of those costs  
9           to see if we can do something about our  
10          transmission and distribution expense. So  
11          that's really, again, using those to provide  
12          capacity value to the system so we can at a  
13          minimum defer a plant expansion and,  
14          depending on how things go in the future,  
15          potentially actually not to have to build it  
16          at all.

17                        So again, there's a lot of reasons  
18          we pursue these. Slide 3. A lot of folks  
19          are interested. I think I want to mention  
20          about leveraging customer money I think is a  
21          critical point here that we all have to  
22          think about here. One of things this also  
23          provides from National Grid's perspective at  
24          a minimum is also the need to -- as we try

1 to manage and use customer resources, it  
2 really calls for what -- to modernize the  
3 grid, to be able to see things in realtime  
4 and really be able manage that customer load  
5 in ways that we've never done before. So  
6 that's really going to be important going  
7 forward for ourselves and for our customers.

8 No. 4 is really -- we've been  
9 working on this for quite a while. We  
10 started kind of having some conversations  
11 with our planning engineering teams both on  
12 the distribution side and transmission side  
13 to understand better how to try to use those  
14 customer resources in their planning  
15 process.

16 So way back in 2011, which it took  
17 a couple years to pull through, we did come  
18 up with an internal document that helps our  
19 planning folks understand where we want to  
20 look at non-wires alternatives. We do have  
21 four criteria that we look at because  
22 non-wires alternative being customer-side  
23 resources can take time to plan; lots of  
24 issues around that. So in the green box to

1 the left you'll see that the needs really  
2 are that in order to have enough money, the  
3 deferral value is anywhere from six to ten  
4 percent of the initial cost of some sort of  
5 upgrade. So in order to have enough money  
6 to incent customers to do things, one of the  
7 criteria we look at is is it a million  
8 dollar upgrade or not. That's the first  
9 criteria. Second is it can't be related to  
10 an asset condition. You can't be looking to  
11 defer replacing a 52-year-old switch that we  
12 can't get parts for. That's not just  
13 something that we're looking at. So that  
14 location, if it's asset condition, is not  
15 going to be considered.

16 It needs some lead time. In this  
17 case we're talking about three years or more  
18 so we can kind of get the project up and  
19 running to try to meet the load needs when  
20 we expect the load to occur out there. And  
21 ultimately, we also can't expect to reduce  
22 the load by huge percentages. So we are  
23 looking -- we're only looking for  
24 approximately 20 percent or so of the peak

1 load of the need in terms of what we look to  
2 get resources from the customer side in  
3 terms of that peak load reduction.

4 Going to the right side, once the  
5 engineers have kind of looked at their  
6 planning and we then go through and look at  
7 in a specific location who are the customers  
8 in that footprint. What kind of customers  
9 are there? What's driving the peak load  
10 conditions we're seeing, and what sort of  
11 technologies are we aware of that we think  
12 we might be able to help customers install,  
13 put in place that could provide this  
14 capacity reduction at the times we need it  
15 for the duration we need it, because when we  
16 look about deferring any investment, there  
17 are some years where we have peak conditions  
18 on the system, other years we don't. Last  
19 summer was a good year where it was a nice  
20 summer, cool, really had no true, hot, humid  
21 heat waves that caused significant peaks and  
22 it was reflected at the ISO level and at the  
23 our local distribution level. But some  
24 years, I've been in this business a while.

1           2002 was a hugely hot year, 2010. So we  
2           have to be -- this is insurance, if you  
3           will, this non-wires if we can't have the  
4           actual conductor in the air or transformers  
5           on the ground. So when you look at the  
6           interval to manage the load from a  
7           customer-side resource, you need to look at  
8           how many hours of summer you might need  
9           them. Is it two or three or four days in a  
10          row? Is it only one hour a day? Is it four  
11          or five hours a day? And how many years  
12          will you need it? Because the whole premise  
13          once you put conductor in the air, it's  
14          going to provide capacity for the expected  
15          life of that conductor, 20, 30 years.  
16          Whereas customer-side resources, it's a  
17          constant refresh, if you will, with that  
18          customer base to make sure that they're  
19          still available, because right now we're  
20          still at the early stages of any sort of  
21          automation of customer loads and so a lot of  
22          things that are done now are still very  
23          manual by customers, but we'll get into some  
24          of the automation which we do have in the

1 pilot in terms of how we expect that to move  
2 forward.

3 The background here is basically  
4 the original least cost procurement law.  
5 I'll get into Slide 5. Under that there was  
6 a lot of different things folks are aware of  
7 but one of the key things is the system  
8 reliability procurement plan and out of that  
9 is where the whole non-wires proposals are  
10 out there. There's a plan we file every  
11 three years and then we have an annual  
12 update to that plan, but every three years  
13 there's a refresh of the larger plan and  
14 we've done that twice, '08 and '11, and  
15 we'll be due for another update -- oh,  
16 actually, we just did one last fall, right?  
17 Counting three plus three plus three.

18 So getting to Slide 6, the  
19 standards are out there, and if I add right,  
20 just like this, the minor update was in  
21 2014. We talked about the different aspects  
22 of the non-wires and also the different  
23 types of reporting requirements around them.  
24 So these were filed every year in terms of

1 the projects.

2 So there's two things we do in our  
3 SRP, system reliability plan reports. First  
4 is show all the projects that we are looking  
5 at from a planning perspective and whether  
6 they did or didn't make it through the  
7 non-wires filter, as I mentioned, those four  
8 criteria. Most don't, frankly, because  
9 there's asset conditions -- and you have to  
10 remember, projects that make it into the ISR  
11 have to have a number of factors that make  
12 it so they pass, if you will. So it's very  
13 rare you have a project that's only for  
14 reliability or only for growth. Typically,  
15 projects have -- do all those things, grow,  
16 reliability, asset replacement so you have  
17 all the values when you do upgrade the  
18 system. But in those cases where you've got  
19 a relatively recent upgrade that you've done  
20 in the last five to ten but the load growth  
21 is exceeding what you expected the load  
22 growth to be and you're looking at upgrading  
23 that system sooner than you normally would  
24 have, that's where you're looking for the

1 non-wires.

2 Typically, the assets are still in  
3 very good condition. Typically, reliability  
4 is still very high. So it's simply a  
5 growth-related thing that we have to do when  
6 we have to just manage and lop off those  
7 peaks to get more life out of the existing  
8 plant.

9 So they have their own dockets  
10 here. We meet with the efficiency world.  
11 We're close with the EERMC as well in terms  
12 of the system reliability plan, and as much  
13 as we can we also try to leverage as much of  
14 the efficiency dollars as we can because  
15 customer-side resources aren't just DG or  
16 demand response. They are indeed energy  
17 efficiency, and in this case for this pilot  
18 targeted energy efficiency and so we try to  
19 leverage the money we're already collecting  
20 from customers through efficiency. And so  
21 when we ask for any sort of funding for SRP,  
22 it's simply in addition to what we already  
23 would have been getting from energy  
24 efficiency and in all the years so far, if

1 I'm not mistaken, we've been able to use  
2 almost half, if not more than half, of the  
3 total SRP budget comes from the efficiency  
4 programs already approved so we don't have  
5 to ask for this much, the total amount, and  
6 we only ask for about 48 or 50 percent of  
7 the cost.

8 So getting to Slide 8 specifically,  
9 Little Compton and the southern portion of  
10 Tiverton are the locations. Due to  
11 reliability or contingency issues, the two  
12 feeders that serve the area, neither feeder  
13 can feed the whole area if you lose one or  
14 the other and they essentially back each  
15 other up because they're down in that  
16 peninsula area. So the third feeder was  
17 proposed so you had that backup if you loss  
18 one of the two feeders. But again, that  
19 third feeder was only needed if the outage  
20 occurred during peak. If it occurred today,  
21 for example, either circuit could still  
22 handle the whole load, but on a nice hot  
23 July afternoon, that's when the third feeder  
24 would kick in.

1           So we went through and with the  
2           engineers helping us understand how many  
3           kilowatts of load relief needed by year and  
4           how many hours a year based on planning  
5           estimates we came up with this particular  
6           project. And the third feeder is estimated,  
7           because of the physical size of the  
8           substation and the need to expand the  
9           footprint at approximately \$3 million and so  
10          the project was originally proposed in the  
11          2011 period and running from '12 through '17  
12          to try to defer this \$3 million upgrade for  
13          hopefully four plus years. We're aiming at  
14          four years, but in point of fact, if we're  
15          highly successful, that deferral can  
16          continue which is what we're hoping.

17                 We've done a lot of work already in  
18          terms of the marketing around targeting  
19          efficiency and our tactics are specifically  
20          reducing the air conditioning load in the  
21          area and, again, to be clear, we say  
22          reducing the air conditioning load, we're  
23          not turning anyone's air conditioning off,  
24          we're simply cycling them and/or raising the

1 temperatures that they'll operate to. So  
2 instead of your set point being 68, 69  
3 degrees in your home, we'll raise it to 70,  
4 71, 72. If you shut them off, you won't get  
5 people to participate because they just  
6 won't want to be shut off and be hot in  
7 their homes. So a key component with this  
8 sort of thing is the comfort of our  
9 customers to make sure that they're not --  
10 because they simply will not participate and  
11 won't be able to use them. So we started  
12 the load relief in '14. We've got some  
13 numbers coming up here and I'll talk a  
14 little bit about the collaboration with the  
15 OER about some of the solar overlay, if you  
16 will, to what we're doing with targeted  
17 efficiency and demand response in this  
18 footprint.

19 So Slide 9 is kind of the timeline  
20 of when we started the project, and below  
21 you'll see the estimate into how much  
22 reduction in peak load we need over the  
23 course of the five years of the pilot.  
24 Summer of '14 through the summer of '18.

1           You'll note in the far right arrow, the key  
2           point here is to maintain participation. I  
3           talked about anyone can do a flash in the  
4           pan project and get hundreds of kilowatts of  
5           load reduction for a couple hours. That's  
6           really simple. The real hard part is  
7           getting the hundred kilowatt load reduction  
8           Tuesday, Wednesday and Thursday afternoon  
9           because the heat wave went through the week.  
10          And as importantly, our experience is that  
11          if heat waves go through the weekend, that  
12          following Monday and Tuesday become super  
13          peak days because everyone is back to work  
14          and everything else. So rarely are you  
15          going to call an event one day of the week.  
16          You'll likely call it more than one day,  
17          hopefully not the whole week, and depending  
18          on the extent of the heat wave, you may have  
19          to wrap it into the next week. So you have  
20          to worry about customer fatigue and all  
21          those other things about what we're doing  
22          here. But again, that's the proposed load  
23          reductions.

24                           And under No. 10 is where we have

1 to understand -- we talked a little bit  
2 about one of the drivers, and obviously, we  
3 know in the pilot the summer months is the  
4 driver with the air conditioning load, later  
5 afternoon, 3:30 to 6:30 p.m. or so is the  
6 peak window. It looks like it's slowly  
7 moving a little bit later which doesn't  
8 surprise us. None of us like to go to bed  
9 on a hot humid night without the air  
10 conditioner running in our bedroom and we  
11 actually have plenty of circuits that  
12 actually peak at 8:30 or 9:00 o'clock at  
13 night because of that effect. Even though  
14 we did have a peak, a lower peak in the  
15 afternoon, the actual feeder peak can occur  
16 and in many residential circuits does occur  
17 at much later at night. And what kind of  
18 technologies can we use and what again the  
19 customer based in the area is primarily  
20 residential and the rest is really small  
21 commercial.

22 We've done pilots -- actually we've  
23 did a pilot in the '06 timeframe in this  
24 area at the Kilvert Street substation which

1 feeds this area specifically, but we only  
2 enrolled at that time large  
3 commercial/industrial customers who had  
4 energy managers and could manage their loads  
5 better, and in those cases you only needed a  
6 handful of customers to get hundreds of  
7 kilowatts or a megawatt of load relief. You  
8 have residential customers, you might get  
9 one or maybe one-and-a-half kilowatts per.  
10 We need lots and lots of customers. So if  
11 you recall, it was only 5,200 customers. So  
12 that's the population we have to work with.  
13 It's not like the systemwide ISO programs  
14 that have the whole New England footprint to  
15 play with. We have a very small footprint  
16 and a relatively small number of customers  
17 to get our megawatt of load relief.

18 Getting to 11, this is where some  
19 of details are coming out here. Key point  
20 in the upper right corner is the  
21 benefit/cost ratios. You see that every  
22 year and the overall is over one for the  
23 programs. The tactics really are about  
24 reducing the air conditioning load, the

1 central AC and also the window air  
2 conditioning load where we actually -- in  
3 both cases we are using the customers'  
4 broadband connection to talk to their  
5 thermostat and then through that internet  
6 connection we then call the thermostat, or  
7 what we call a smart plug which is used for  
8 the window air conditioners that plug into  
9 the smart plug and then that plugs into the  
10 wall. Cindy?

11 MS. WILSON-FRIAS: Is the  
12 benefit/cost ratio, is that just for this  
13 program or does that account for energy  
14 efficiency measures that you're also trying  
15 to get the customer to participate in?

16 MR. ROUGHAN: That includes both.

17 MS. WILSON-FRIAS: Okay.

18 MR. BIANCO: It doesn't include,  
19 though, any funds for solarized or anything?

20 MR. ROUGHAN: No. No. Those are  
21 separate. Separate funding. So to work  
22 that out, pulling those costs and benefits  
23 apart is going to be a fun challenge.

24 MR. BIANCO: Good. I'm glad it

1 will be fun. Can I ask also, the customer  
2 base, I see your projection here. I mean,  
3 you're expecting that split to stay about  
4 the same. It's my understanding there's  
5 been proposals for a mall and a casino in  
6 the Tiverton area. Would that possibly  
7 affect this project?

8 MR. ROUGHAN: Yeah. Those are both  
9 in northern Tiverton. They're not on the  
10 feeders we're talking about. And that's the  
11 challenge, too, when we talk about  
12 marketing. We talk Tiverton, but it's not  
13 all of Tiverton. Our feeders or substations  
14 don't just feed one town. So the marketing  
15 efforts are a little bit more challenging in  
16 terms of how you reach out to customers,  
17 because Little Compton, it's the whole town,  
18 but Tiverton is just the southern part of  
19 it.

20 So we've been installing wifi  
21 thermostats, the plug devices. We moved  
22 into this year if you look at the '15 to  
23 '17, things like heat pump water heaters,  
24 more efficient clothes dryers and

1           continually recruiting and getting new  
2           customers and maintaining the existing base.

3                       When we came -- the second -- I  
4           think the second or third annual filing  
5           there was a lot of focus on why is your  
6           marketing money higher than it was before?  
7           The reality is because it takes a lot to  
8           engage these customers. Most customers, if  
9           you've got one or two cellphones you're  
10          paying for, smart phones, your cellphone  
11          bill is probably higher than your electric  
12          bill on average. So the apathy is just a  
13          real issue that we have to deal with.  
14          Customers do what they do every day. They  
15          don't want to worry about their energy bill  
16          because for many people, yeah, they don't  
17          like it, yeah, they'll call and complain to  
18          us, but it's just one of those things that  
19          they don't seem to do a lot about without  
20          really helping them focus on it.

21                      COMMISSIONER DeSIMONE: Their cable  
22          bill is a lot higher, too, probably.

23                      MR. ROUGHAN: Exactly. But we've  
24          got a good -- so far okay participation.

1           The challenge really is coming up in these  
2           next few years. How many more people?  
3           We've reached out to the population a number  
4           of times, and what's been helpful for us is  
5           a lot of telemarketing, a lot of  
6           door-to-door knocking which some people  
7           like, some people don't, but it really needs  
8           to be done in order to get people to focus  
9           on this.

10                   In the lower right corner you can  
11           see the performance so far and you'll see  
12           that so far we're doing fairly well. And  
13           our projected, we're expecting naturally for  
14           it to be higher than what we need, and the  
15           need does change slightly year on year based  
16           on actual loads. We see the prior summer  
17           and what the anticipated load growth in the  
18           area is. So there's not lot of variation  
19           but it does vary a little bit.

20                   So Todd, for example, if there was  
21           something big proposed in the area that  
22           would be asking for two megawatts of load,  
23           well, we'd just pack up shop and go look for  
24           somewhere else because we really can't --

1           you would have to then build something for  
2           that at that point. And that's the other  
3           variability we've got to think about with  
4           non-wires is we can only predict what we  
5           can, and if something big happens, then we  
6           really have to worry about it. But the  
7           converse is true, too. We may well build an  
8           upgrade and then that casino closes and that  
9           load goes away. So that's the other the  
10          flip side of the coin we have to worry  
11          about.

12                       MR. BIANCO: So what I was  
13          wondering, though, is I mean, how -- if this  
14          were possible to have -- not possible, I'm  
15          sorry, if a large customer came in and  
16          wanted to interconnect and sort of caused  
17          you to wash your hands of this project, you  
18          made a motion, it's not on the record, then,  
19          I mean, would you at that point, though,  
20          explore other options? Perhaps total net  
21          cost would be cheaper to get them to find a  
22          way to interconnect to some other feeder  
23          perhaps than to abandon this project? Like,  
24          I mean, does that type of analysis go on or

1 do you just say no, that's it. You  
2 interconnect to the closest feeder and we  
3 walk away.

4 MR. ROUGHAN: We would look at that  
5 customer's needs and try to make it possible  
6 for them to connect to the system just like  
7 any other customer request. And if we could  
8 also work diligently with them to do super  
9 efficiency and super load management so that  
10 their impact at peak was much lower than  
11 something else, that may still be able to  
12 work and we could still work with that  
13 customer and still keep the pilot running.  
14 So it would make a difference. It was only  
15 -- because homes still are being built in  
16 the area. It's not as if there's no  
17 building still going on there. So there's  
18 still some load growth. But working with  
19 new construction folks and the efficiency  
20 world trying to get that while you can is a  
21 critical piece as well.

22 So getting to Slide 12, this is  
23 where we kind of talk about some of the  
24 solarized opportunities here. This is where

1 we work closely with Danny and the team over  
2 there to look at how can solar reduce peak  
3 loads, and frankly, we were surprised what  
4 they found. One of the real interesting  
5 things was for the three summers that they  
6 looked at the peak loads in the area, cloud  
7 cover would not have been an issue during  
8 the peak hour which is one of our fears when  
9 we look at solar. You think of solar array  
10 and clouds come over and it all goes way.  
11 Well, for the three summers we had the data,  
12 and again, it's a very short time, cloud  
13 cover wasn't an issue. So that kind was a  
14 surprising output of the study that Paradigm  
15 did for us.

16 But they also showed very clearly  
17 how if you reoriented the solar panels how  
18 you can move the peak output of the solar  
19 panels much closer to our peaks on the  
20 panels here. And the table below shows the  
21 amount. And to be clear, we simply selected  
22 a value of effective solar. I use the term  
23 effective solar because even with westward  
24 facing panels, you won't get the full

1 nameplate solar array at four o'clock but  
2 instead of only getting 25 percent of it,  
3 hopefully you get 35 or 40 percent of it.  
4 So that's where the nameplate -- so we  
5 selected kind of this 250 kilowatts and  
6 backed into the how many kilowatts of solar  
7 that would require. And I was just talking  
8 to Danny earlier. It sounds like we've got  
9 a -- what are the numbers again that you  
10 said we've got signed up already?

11 MR. MUSHER: The latest numbers I  
12 saw was like 120 kW in Little Compton, 160  
13 in Tiverton, so it's coming along nicely  
14 with another month of the campaign.

15 MR. ROUGHAN: Great. So that's  
16 going to be really helpful to understand how  
17 that really does affect the peak in the area  
18 and combined with the other things which the  
19 company is doing as well. So a lot of  
20 lessons so far.

21 Engagement. I've talked about this  
22 a number of times. This can't be talked  
23 about enough in terms of getting the  
24 engagement of the population. I mean, it's

1           easy to sit back and say oh, yeah, folks  
2           will do this. Of course they will. You pay  
3           them this. You pay them that. Of course  
4           they will. Reality is a very different  
5           animal. It just is. Folks have a lot of  
6           other stuff they do. I'm an energy geek.  
7           I'll admit it. I think this is cool. I do  
8           all this cool stuff in my house, but my wife  
9           won't. It is what it is. We have to -- how  
10          do we engage those populations? My mother  
11          is in the smart energy solutions footprint  
12          in Worcester. She doesn't give two doodily  
13          you know whats about what we're doing in  
14          Worcester. She wants to make sure she's  
15          cool in the summer and warm in the winter  
16          and she has her lights so she can read her  
17          books. That's what she cares about. So as  
18          long as we can meet those needs, we can  
19          manage that population, but that's the other  
20          piece we have to learn.

21                   MR. ZSCHOKKE: Tim said he has to  
22                   go to his mom's house and manage the load.

23                   MR. MUSER: Tim, I also want to be  
24                   warm in the winter and cool in the summer.

1                   MR. ROUGHAN:    But saving money  
2                   sometimes didn't really -- doesn't really  
3                   resonate with some people, it just doesn't  
4                   if it's not a lot of money, and that's  
5                   something out there.  Plus frankly, people  
6                   are suspicious.  Why do you want me to  
7                   reduce load?  It reminds me of our old  
8                   energy efficiency days when we first started  
9                   the programs.  People were looking at us  
10                  cross-eyed.  What?  You want us to reduce  
11                  what you sell?  It just didn't make sense to  
12                  them.  We still get that.  When you start to  
13                  activate control devices in customer homes,  
14                  this issue about Big Brother isn't  
15                  insignificant.  People really have a serious  
16                  concern about someone knowing more than they  
17                  want them to know about their own business.  
18                  And how do we get through that?  It gets  
19                  very interesting to have those  
20                  conversations.

21                  COMMISSIONER DeSIMONE:  Yes,  
22                  especially when we're learning that the  
23                  federal government is storing information  
24                  regarding all of our phone calls, et cetera,

1 so it plays into all of that, right?

2 MR. ROUGHAN: Bingo. It absolutely  
3 does. And what we've learned, too, is not  
4 one shoe fits everyone. We have to have a  
5 lot of different activities and  
6 opportunities for customers to pick what  
7 they want out of there so you need a fairly  
8 extensive menu of options and that gets --  
9 there's an additional layer of complexity  
10 and management that that has out there. So  
11 that's where we've got there on Slide 14  
12 making it as simple as possible is always  
13 important. Once you get the customer to  
14 agree to the automation, it's great. One of  
15 the interesting things we found out in a  
16 test last summer was that customers hadn't  
17 installed their window air conditioning  
18 units yet because it hadn't been hot enough.  
19 Most of us kind of wait. Leave them in the  
20 garage or cellar until it gets really hot,  
21 because we know when we put them in, our  
22 bills are going to go up. So if you haven't  
23 put in your air conditioner, your smart plug  
24 is not doing a whole lot when you say hey,

1           turn off your air conditioner. So that's  
2           the other thing. You have to make sure  
3           folks remember when you plug in your air  
4           conditioner, make sure it goes through that  
5           the smart plug. That constant reminder is  
6           also important.

7                    COMMISSIONER DeSIMONE: The thing  
8           with the window unit is once you put the  
9           window unit in you can't open your window  
10          anymore either, so on a cool day you're  
11          stuck with the window being closed.

12                   MR. ROUGHAN: Exactly. So that's  
13          the other -- so when you're doing plug load  
14          control you have to make sure the plug load  
15          -- how do you make sure they're there if you  
16          expect control? The good news is if they're  
17          not there, they're not contributing to the  
18          peak load either. Just like your earlier  
19          comment about that light bulb that someone  
20          is not using. Well, they're not using it so  
21          instead of 13 watts, it's zero watt that  
22          time. So there's that other thing.

23                    We do have to test these things.  
24          You have to get people understanding the

1 program and so that when there's a test they  
2 know what's going to happen, there's no  
3 surprises out there, and that's a critical  
4 piece. One of the interesting things we had  
5 to do in the pilot, still been doing it is  
6 we're physically going to people's homes  
7 because we have incentives for window air  
8 conditioners as well for new air  
9 conditioners. But we want to get rid of the  
10 old inefficient ones. The only way you can  
11 guarantee you do that is if you send a truck  
12 over there and saying knock, knock, knock,  
13 I'm here for your air conditioner. If you  
14 expect them to go and drop it off, most  
15 people are going to go, oh, it still works.  
16 I might need it, or my cousin will want it.  
17 Whereas if they're really going to get the  
18 incentive, you've got to take that out.  
19 Just like our second refrigerator deal.

20 MS. BESSER: I would think  
21 customers would like that because they  
22 charge you in my town if you throw out any  
23 appliance, so I'd be thrilled if you took my  
24 old appliance.

1                   MR. ROUGHAN: That's one of the  
2 things we learned from the program. That's  
3 the presentation. Again, I'd be happy to  
4 answer questions. I will admit that Lindsay  
5 Foley could not make it today. She's our  
6 expert on the ground, project manager. She  
7 knows every little detail about this program  
8 that I'm a little bit distant from, but I  
9 think I can probably answer most questions.

10                   MS. WILSON-FRIAS: Have you started  
11 to roll out the water heater program for the  
12 water heater controls or the things that you  
13 mentioned on Slide 11?

14                   MR. ROUGHAN: So mostly with that,  
15 that's where we're actually looking to  
16 replace the water heater with a heat pump  
17 water heater, not so much control it,  
18 because that's separate -- you want to  
19 control water heaters and swimming pool  
20 pumps. There's actual physical equipment  
21 that has to be installed by an electrician  
22 so you can get a switch in there that has a  
23 connection to the customer's broadband. So  
24 that's kind of one of those things that

1 we're hanging back with, that if we need to  
2 go to that point, we can go to that point.

3 MS. WILSON-FRIAS: How did you used  
4 to control the water heaters? My  
5 grandmother had one of those.

6 MR. ROUGHAN: Many moons ago. We  
7 bought a small spectrum over FM and AM radio  
8 stations in the area and the controller was  
9 actually controlled by a radio signal on  
10 those old water heater controls, but those  
11 were installed to manage the load when we  
12 were vertically integrated. So the key  
13 part, typically to manage those early  
14 morning winter loads because way back then  
15 we were winter peaking. A lot of us grew up  
16 without air conditioning in our bedrooms in  
17 our homes. And now that's just not the  
18 case. But back then the winter peaking  
19 system, the water heater control really  
20 helped to manage that winter peak. But the  
21 problem with that was that when we went to  
22 restructuring 17 years ago, it was 17 years  
23 ago, not just this winter, there was no  
24 need. We didn't own the generation anymore

1           so all those programs were essentially ended  
2           at that time.

3                   MS. WILSON-FRIAS:   I guess the  
4           reason I had asked was because if it was  
5           accepted back when I was my kids' age, then  
6           I didn't know if it would have even more  
7           acceptance.  You talked about the Big  
8           Brother piece of it, where it's already been  
9           done in the past under a different  
10          technology.

11                   MR. ZSCHOKKE:   Right.  So when  
12          restructuring came, the idea behind  
13          restructuring was that the market would  
14          deliver better than the utilities.  So we  
15          eliminated all our demand response programs,  
16          commercial/industrial and residential, so  
17          the radio frequency we purchased we kept for  
18          a while, but it was an expense nobody wanted  
19          to pay for anymore so it got stopped.  But  
20          there are probably water heaters out there  
21          with radio controls on them to this day,  
22          right?

23                   MR. ROUGHAN:   The other thing,  
24          though, we also used those large 80 and 100

1           and 120 gallon tanks so we had plenty of  
2           storage and those would only turn your water  
3           heaters off for two to three hours. So  
4           rarely did you run out of hot water because  
5           the things were so large. But again, it's  
6           been a long time. We went through the  
7           analysis of the water heater control program  
8           back in the early 2000s in the company and  
9           we tried to justify keeping it because I was  
10          working at the time on some of these other  
11          pilot programs, but there's no way to pay  
12          for it. The forward capacity market wasn't  
13          there. There were no programs that could  
14          pay for these sorts of expenses in place at  
15          the time and no real value we could talk to  
16          to continue to ask different regulators to  
17          continue to fund them.

18                   MS. BESSER: I wanted to followup  
19                   on Cindy's questions which I heard it  
20                   differently. I thought you were saying that  
21                   given experience with some direct load  
22                   control, with Big Brother type issues raised  
23                   at that time, if customers did this once,  
24                   why is there an issue doing it again is sort

1 of what I heard you asking.

2 MS. WILSON-FRIAS: It is kind of  
3 what I was asking and I'm wondering if maybe  
4 it's a different technology that you would  
5 use now, a radio frequency. You're not  
6 actually seeing where the broadband internet  
7 connection, public TV shows right now.

8 MR. ROUGHAN: The radio thing was  
9 the only way to communicate with those.

10 MS. BESSER: That may have been  
11 more innocuous to customers.

12 MR. ROUGHAN: Probably. But I  
13 mean, the challenge of the water heater  
14 program, it was so long ago it's hard to  
15 reconstruct how customers felt about it.  
16 Customers used to -- it was part and parcel  
17 of our rental water heater program. If you  
18 were part of the rental water heater, you  
19 also got control. So instead of having to  
20 buy a brand new tank and then pay to install  
21 it, you could simply sign up to rent a water  
22 heater in the '60s and '70s and we'd come in  
23 and do everything for you and it was a  
24 really nice way to, frankly, promote

1 electric use at the time because that was  
2 what electric utilities did, but also manage  
3 the control because of the winter peaking  
4 issues.

5 MR. MUSHER: Tim, so I think it was  
6 either in the three-year plan or the 2015  
7 SRP, but probably the three-year plan that  
8 we had one of those -- the new theme of  
9 non-wire alternatives as partial solutions.  
10 And so that you might have a -- that  
11 wouldn't defer the entire need but part of  
12 it, and you mentioned how when you're  
13 looking at a lot of the investments that you  
14 need to make, a vast majority of them have  
15 partial access, partial reliability and  
16 growth. And so when I look at the criteria  
17 that you have here, the four criteria, how  
18 are they -- is there a difference in how you  
19 apply those -- how do you apply those  
20 criteria in the case of looking at non-wires  
21 alternatives as a partial solution? Is it a  
22 different process or can you use the same  
23 four criteria?

24 MR. ROUGHAN: I think we can use

1 the same criteria. And what Danny is  
2 talking about is you've got a solution that  
3 you think is going to cost you \$5 million  
4 but if you're doing some non-wires, your  
5 solution is only going to cost -- because  
6 what you have left is only a million, then  
7 you can defer 4 of the \$5 million. And  
8 that's a new concept we're just starting to  
9 work on with our planning folks at this  
10 point. So we're still trying to work out  
11 those details there because we were  
12 initially saying can you do non-wires for  
13 the whole thing or not and now we're  
14 morphing more to that's still a thing, can  
15 we do the whole project or not or how do you  
16 parse it out in particular areas so we can  
17 do just partial non-wires and we're still  
18 working on that. We don't have that flushed  
19 out.

20 MR. MUSHER: Okay.

21 MS. ANTHONY: So Tim, one thing  
22 that a few of us have been talking about in  
23 this small group, Jeremy, Charity, Marion  
24 and Danny is we've defined system

1 reliability, all of us, including the  
2 standards that have been approved by the  
3 Commission, as a strategy for avoiding a  
4 specific transmission or distribution  
5 deferral or a partial deferral, but is there  
6 a way we can take that same I'll call it  
7 mentality or approach to using non-wires  
8 alternatives to optimize the system or  
9 improve system performance, make it more  
10 efficient rather than necessarily avoiding a  
11 specific upgrade. And I would just -- I  
12 guess I'm looking for your thoughts on  
13 whether that is something at some point in  
14 the future we could try as a pilot as well.

15 MR. ROUGHAN: Well, the good news  
16 is between all the pilots, right, the SRP,  
17 the smart energy solutions up in  
18 Massachusetts, the volt/VAR pilot we're  
19 working on, all these things are kind of  
20 coming together in terms of showing clearly  
21 the need for greater visibility into the  
22 system, the need for more sensing, the need  
23 for more data on a realtime basis to manage  
24 that. In order to optimize the spend, you

1 really need to know what you're seeing.

2 It wasn't that long ago that all we  
3 knew on a feeder was the peak load from the  
4 last time we reset the meter. We didn't  
5 even know when the peak load occurred. We  
6 just knew what it went to. Old thermal  
7 demand meters is what they are. They just  
8 go up as the load goes in. They stick until  
9 you reset them.

10 In the last 10 or 15 years as we  
11 upgraded all our substations, we now have  
12 the granular, really down to seconds, if you  
13 will, of load at many of our substations,  
14 all the newer ones, but we still only have  
15 it at that breaker at the big substation.  
16 And the feeder might be two miles long, it  
17 might be ten miles long. What we don't know  
18 on a realtime basis is what's going on on  
19 that circuit and that's where the real need  
20 to invest in the systems to get more data so  
21 we can make those decisions is critical.

22 We also have to recognize even the  
23 pilot in Little Compton/Tiverton is still  
24 just a pilot. We don't have -- we can't

1 label it a success. We can label it a  
2 success that we started a project that's  
3 going to be very important to all of us, but  
4 until we can really see that one megawatt  
5 load relief, you know, day after day when we  
6 call it, it really can't be coined a success  
7 at this point. But the need for that  
8 additional information on the system is  
9 going to be what drives the optimization of  
10 the delivery system. And that includes  
11 getting down to potentially interval meters  
12 at that residential level. There's a lot of  
13 value in that. Today the costs may or --  
14 may be a little higher than folks may be  
15 willing to spend, but over time we expect  
16 those costs will drop, too, and as we move  
17 forward we can potentially install  
18 additional equipment and actually that's how  
19 we give customers that time varying signal  
20 and also that's how they know if they're on  
21 a demand rate when they're approaching their  
22 peak demands and prompting them to do  
23 something about it or prompting their  
24 building management system to automatically

1 do something when they see demands rising  
2 above a certain pre-set level.

3 THE CHAIRPERSON: Are there any  
4 more questions or comments?

5 MS. GOLD: I guess I have one more.  
6 I was just looking at something where  
7 Consolidated Edison had won approvals to  
8 replace an estimated \$1 billion in  
9 substation upgrades with about \$150 million  
10 in targeted demand response and energy  
11 efficiency programs and another 50 million  
12 in grid scale battery system providing an  
13 early template of how distributed resources  
14 can work in lieu of utility assets. So I  
15 guess this gets to the question that we  
16 talked about a little bit earlier when you  
17 have a Tiverton casino coming in, how do we  
18 help encourage the utility to look at  
19 alternative resources instead of just  
20 putting in a billion dollars.

21 MR. ROUGHAN: I think you have to  
22 look at the scale and the other issues  
23 surrounding it. Con Ed is a huge utility,  
24 but the scale of what they serve in terms of

1 load density, in terms of customer density  
2 is phenomenally much more massive than  
3 anything we have anywhere in our system in  
4 National Grid. And they also have physical  
5 limitations in their footprint in the city.  
6 In Brooklyn, you just can't get the length,  
7 even if it was available. A, it's not  
8 available. B, if it is available, it's  
9 wildly expensive. Everything in Con Ed  
10 costs a lot more than it costs up here so  
11 they can do lot more things like this that  
12 make lot of sense. But when we upgrade a  
13 substation if you compare the Tiverton cost  
14 new feeder of \$3 million versus what it  
15 would cost Con Ed to build the same thing,  
16 it would probably cost them ten times as  
17 much because it has to be all underground.  
18 It has to physically fit in locations  
19 where -- and it didn't have area. Tiverton,  
20 we just push the substation fence out a  
21 little bit, get the proper permits, build  
22 the line and it's pretty straight forward  
23 without a lot to worry about, versus  
24 downtown urban Brooklyn and New York City.

1                   MR. ZSCHOKKE: Tim is right. You  
2                   have to keep in mind that I don't think  
3                   there's any utility in the world that can be  
4                   compared to Con Ed's system, and as my  
5                   favorite engineer described to me once, the  
6                   megawatt we're looking at for  
7                   Tiverton/Little Compton is like a fly on an  
8                   elephant's butt when it comes to -- on an  
9                   elephant when you talk about Con Ed. They  
10                  didn't like the hundred kV rule that FERC  
11                  put in place because they use 115 as local  
12                  distribution. So I mean, they have -- the  
13                  density of load is phenomenal. And how  
14                  their network is designed, if they save a  
15                  megawatt of load on any feeder, it can  
16                  automatically be used to serve much larger  
17                  areas than we would ever imagine because  
18                  everything is all connected, a very broad  
19                  swath of a very tiny footprint.

20                 MS. BESSER: Can I ask a follow-up?  
21                 The point I took away from Marion's question  
22                 is actually National Grid is also a very  
23                 large utility and it may be that in Tiverton  
24                 you're not making this scale of investment,

1 but as you look at major investments, I  
2 think at least what strikes me, I'll say,  
3 from my perspective, but as you look at  
4 major investments I think some of what we  
5 want you to be doing is looking at non-wires  
6 alternatives to even major investments where  
7 they can save customers money.

8 So Tiverton is a pilot, it's a  
9 different kind of thing, but there are, I  
10 imagine, places on the National Grid system  
11 where you make major investments, not the  
12 same density, not the same kind of  
13 investments as Con Ed, but I imagine your  
14 capital plan includes large investments.

15 MR. ZSCHOKKE: Conceptually we're  
16 all in agreement. The difference is the  
17 megawatt we save in Tiverton/Little Compton  
18 hopefully can't be used in Providence.  
19 Whereas for Con Ed, and I listened to one of  
20 their engineers, their system is so closely  
21 networked and works so coordinated, the  
22 megawatts they save here will be used in a  
23 whole lot of other places and so they don't  
24 mind having these programs for that reason,

1 but it could be spread across a lot of their  
2 area of their service territory where ours  
3 tends to be very focussed on the area where  
4 we're making the investment.

5 MS. BESSER: I hear you on that.  
6 But I think it's about scales of  
7 investments. Where you might need a major  
8 investment in a major substation, it might  
9 look different from Con Ed, but I think  
10 you're still -- I think there's still -- the  
11 focus is how do you have distribution  
12 planning proceed in such a way that you look  
13 at alternatives to just upgrading the  
14 substation or whatever you're doing.

15 MR. ZSCHOKKE: It's the same  
16 concept.

17 MR. ROUGHAN: Well, those four  
18 criteria we talked about are used every day  
19 by our distribution and transmission  
20 planning folks. And every day they look to  
21 see what they can do for the project that  
22 they've got out there. And some states are  
23 more amenable to that than others. Rhode  
24 Island has been very supportive of it. New

1           York State, Massachusetts hasn't been,  
2           surprisingly. So they do for every project  
3           figure out what they might be able to do  
4           from a non-wires perspective but, again, the  
5           premise still is until we see that one  
6           megawatt every hour of every day that we  
7           need it for every summer we need it, it's  
8           difficult to say I can hang my hat on this  
9           thing. We're confident we will be able to,  
10          but we really need to figure out all the ins  
11          and outs of that customer participation and  
12          engagement in a highly managed way before we  
13          can say yes, this -- we can and should do  
14          this everywhere because we still have the  
15          obligation to serve.

16                   MR. BIANCO: May I? Just one? I  
17          guess the final thing that still -- the  
18          question that I always want to know is when  
19          you think of least cost procurement you can  
20          have -- you have benefits and costs. The  
21          benefits you might achieve through a program  
22          and the costs that you calculate you would  
23          want to be the same through some other  
24          method of achieving those same benefits and

1 costs. And while we have the history of  
2 benefits and costs for SRP and energy  
3 efficiency, I wonder if some of this can be  
4 done, some portion of benefits with some  
5 different costs can be done through metering  
6 and rate setting, and I have no idea how  
7 much -- the type of metering costs or what  
8 it requires, but my -- economically you must  
9 be able to get some reductions through  
10 proper rate setting. I don't know how much  
11 it is, but that would be the benefit. And I  
12 wonder, I don't know what the costs are of  
13 these types of systems and I don't know if  
14 there's reports out there or anything like  
15 that, but if we could ever find out, if  
16 anybody has that and wants to give us an  
17 idea of what a proper system would require  
18 in order to be able to set the type of rates  
19 that would get us comparable benefits to,  
20 say, a Tiverton program or something like  
21 that, that would be -- that would be heck of  
22 a report I guess or a filing.

23 MR. ROUGHAN: If you recall in the  
24 ISR discussions, I did mention advanced

1           metering infrastructure depending on what  
2           you're getting and the granularity you  
3           really need and the latency of the data can  
4           be \$100 a point, it can be \$400 a point. It  
5           depends what you're looking to get out of  
6           the system for the end use meter and the  
7           back office system to manage all this data  
8           that you didn't have yesterday. So that's  
9           where you need to kind of look at what are  
10          you trying to do with it? Do you really  
11          need five-minute data for every customer or  
12          can you get by with the data for a  
13          three-hour window?

14                 MR. BIANCO: Let me say, then, one  
15          principle of least cost procurement is to go  
16          out and get the -- what you need to procure  
17          for the least cost. If you have this  
18          procurement, let's say energy efficiency and  
19          you wanted to achieve that, would you start  
20          with that amount of energy efficiency or  
21          that amount of demand that you would achieve  
22          by some other means which is cheaper than  
23          going out and building more infrastructure  
24          and procuring more energy. You would say

1           this passes. Let me see now what it would  
2           cost to get those same benefits through  
3           rates, and if it were cheaper, that's  
4           actually least cost procurement, right? If  
5           it's not, you've got to go with the  
6           programs. And I don't know what that cost  
7           is. And I don't know if at some point that  
8           could ever be studied or part of planning.  
9           But that seems like that would fall under  
10          least cost procurement principles.

11                   MR. ROUGHAN: Costs or -- maybe I'm  
12          missing something, Todd.

13                   MR. BIANCO: For metering and for  
14          running a back office that handles that type  
15          of --

16                   MR. NEWBERGER: System integrity?  
17          I think you're suggesting somewhat of an  
18          expansion of the definition of least cost  
19          procurement at the same time. We've defined  
20          least cost procurement as resource  
21          acquisition, megawatt hours or kilowatts,  
22          and some of the things that you talk about  
23          about rates or time differentiated rates,  
24          some of them may lead to consumption

1 reductions but some of them may just lead to  
2 shifting. So if you expand the discussion  
3 to that, we'd also have to expand the  
4 discussion of whether that's -- whether  
5 you're requiring the megawatt hours of  
6 energy reduction that you're looking for.  
7 So it's a -- I think you're teeing up a  
8 broader discussion that may be fit for  
9 another day.

10 MR. BIANCO: I'll allow that.  
11 Okay. I mean, probably. I often do.

12 MR. ZSCHOKKE: If you're talking,  
13 Todd, about the cost to implement an AMI  
14 system with back office communications,  
15 there was at least one document prepared in  
16 the Mass. grid mod that we can copy actually  
17 comparing installation costs of different  
18 systems across the country. But as Tim  
19 pointed out, the delta of those costs may be  
20 generational as they change technology, but  
21 also how you design your coms and your  
22 information network.

23 There was a person on the panel  
24 with me yesterday who said he was frustrated

1           because trying to work with his customers  
2           with the AMI data, nobody who has an AMI out  
3           there now is providing realtime information.  
4           So you're getting the data the day after,  
5           even though they have all these meters, and  
6           that's based upon how they've designed their  
7           coms network, how they've designed their  
8           information retrieval network and how  
9           they've designed the access to the data  
10          realtime.

11                         We can obviously give you some  
12          information on our smart energy solutions  
13          pilot, what it's cost to do the 15,000  
14          meters there. And we've designed it so that  
15          we retrieve the data every eight hours, but  
16          customers can log in and ask for the data  
17          and then they can get immediate access to  
18          their information, so they do have a  
19          realtime polling of the data available to  
20          customers who want to do so. So it's  
21          different level of costs. We can provide  
22          that information, obviously, because we're  
23          in the middle of doing it, but that's --  
24          that's the information I know that could

1 give you some handle on what the cost of the  
2 system would be.

3 MR. LeBEL: If I can jump in, I  
4 think that the answer to Todd's question  
5 might be hopefully part of your grid  
6 modernization filings in Massachusetts with  
7 both the costs that you mentioned and maybe  
8 even some analysis benefits hopefully at  
9 some point.

10 MR. ZSCHOKKE: It will give him a  
11 range, but I think until you get a final  
12 statement of work signed with a contract, a  
13 vendor or vendors, you don't know what the  
14 final costs will be, what the finalized bids  
15 will be. Our smart energy solutions pilot  
16 feeds into what we're doing with the grid  
17 mod pilot. Tim is the master of grid mod  
18 right now.

19 MR. ROUGHAN: Yes, I am. Next  
20 question please. But Peter is right, I'm  
21 heavily involved with the AMI part of our  
22 proposed grid mod filing.

23 MR. BIANCO: I'm sure your mother  
24 is both comfortable and proud.

1                   MR. ROUGHAN: It depends. Some  
2 days it's Timothy. Other days it's Tim. I  
3 know what the difference is.

4                   THE CHAIRPERSON: And on that  
5 fascinating note, perhaps, we're done.

6   (ADJOURNED AT 2:23 P.M.)

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

C E R T I F I C A T E

I hereby certify that the foregoing  
is a true and accurate transcript of the  
hearing taken before the Rhode Island Public  
Utilities Commission, on May 14, 2015, at  
9:30 a.m.

\_\_\_\_\_  
JO ANNE M. SUTCLIFFE, RPR/CSR  
Notary Public, State of Rhode Island